

CALIFORNIA ENVIRONMENTAL CONTAMINANT BIOMONITORING PROGRAM

(BIOMONITORING CALIFORNIA)

SCIENTIFIC GUIDANCE PANEL MEETING

CONVENED BY:

OFFICE OF ENVIRONMENTAL HEALTH HAZARD ASSESSMENT

CALIFORNIA ENVIRONMENTAL PROTECTION AGENCY

STATE OF CALIFORNIA

ELIHU M. HARRIS STATE OFFICE BUILDING

GEORGE ALEXEEFF ENVIRONMENTAL HEALTH LIBRARY

16TH FLOOR

1515 CLAY STREET

OAKLAND, CALIFORNIA

AND

ZOOM PLATFORM

FRIDAY, JULY 22, 2022

1:00 P.M.

JAMES F. PETERS, CSR
CERTIFIED SHORTHAND REPORTER
LICENSE NUMBER 10063

APPEARANCES

PANEL MEMBERS:

Megan R. Schwarzman, MD, MPH, Chair

Carl Cranor, PhD, MSL

Lara Cushing, PhD, MPH

Oliver Fiehn, PhD

Ulrike Luderer, MD, PhD

Thomas McKone, PhD

Penelope (Jenny) Quintana, PhD, MPH

OFFICE OF ENVIRONMENTAL HEALTH HAZARD ASSESSMENT:

Vince Cogliano, PhD, Deputy Director, Scientific Programs

Cheryl Holzmeyer, PhD, Health Program Specialist, Safer Alternatives Assessment and Biomonitoring Section, Reproductive and Cancer Hazard Assessment Branch

Susan Hurley, MPH, Research Scientist III, Safer Alternatives Assessment and Biomonitoring Section, Reproductive and Cancer Hazard Assessment Branch

Stephanie Jarmul, MPH, Senior Environmental Scientist, Safer Alternatives and Biomonitoring Section, Reproductive and Cancer Hazard Assessment Branch

Martha Sandy, PhD, Chief, Reproductive and Cancer Hazard Assessment Branch

Kristi Morioka, JD, Senior Staff Counsel

APPEARANCES CONTINUED

CALIFORNIA DEPARTMENT OF PUBLIC HEALTH:

Kathleen Attfield, ScD, Chief, Biomonitoring
Investigations and Outreach Unit, Exposure Assessment
Section, Environmental Health Investigations Branch

Jianwen She, PhD, Chief, Biochemistry Section,
Environmental Health Laboratory Branch

Jeff Wagner, PhD, Chief, Environmental Health Laboratory
Branch

Nerissa Wu, PhD, MPH, Chief, Exposure Assessment Section,
Environmental Health Investigations Branch

INDEX

	<u>PAGE</u>
Welcome	
Vince Cogliano, PhD, Deputy Director, Office of Environmental Health Hazard Assessment (OEHHA)	1
Overview of the Meeting	
Meg Schwarzman, MD, MPH, Chair, Scientific Guidance Panel (SGP)	3
Program Update	
Presentation: Kathleen Attfield, ScD, California Department of Public Health (CDPH)	5
Panel and Audience Questions	19
Open Discussion and Input	27
Community Biomonitoring Update	
Presentation: Susan Hurley, MPH, OEHHA	45
Panel and Audience Questions	61
Open Discussion and Input	74
Open Public Comment Period	90
Wrap-up and Adjournment	92
Reporter's Certificate	94

PROCEEDINGS

1
2 DR. COGLIANO: Good afternoon, everyone. I would
3 like to welcome Panel members and the audience to the
4 meeting of the Scientific Guidance Panel for the
5 California Environmental Contaminant Biomonitoring
6 Program, also known as Biomonitoring California. Thank
7 you all for participating and for sharing your expertise
8 and experiences.

9 The Panel last met on March 25th, 2022. The
10 meeting included updates on the Biomonitoring Program
11 activities that include community biomonitoring studies
12 and a report back on the definition of perfluoro and
13 polyfluoroalkyl substances, which you'll hear referred to
14 as PFASs, which have been discussed at the November 2021
15 meeting. The Panel, staff presenters, and audience
16 members delved into planning for future program
17 activities, as well as the definition of PFASs.

18 Key discussion topics included: opportunities and
19 challenges for using Biobank samples from the Genetic
20 Disease Screening Program; expected challenges in
21 interpreting results from the Stockton Air Pollution
22 Exposure Project, which you'll hear referred to by its
23 initials as SAPEP; identifying opportunities for future
24 community biomonitoring studies and biomonitoring
25 surveillance work; and the Biomonitoring Program's

1 proposal to update the PFAS footnote on the lists of
2 designated chemicals and priority chemicals to remove the
3 moiety requirement which has since been implemented; and
4 plans to consider broadening the PFAS class definition in
5 the future.

6 A summary of input from the March meeting and the
7 complete transcript are posted on the March meeting page
8 on biomonitoring.ca.gov.

9 I will now invite Panel members to introduce
10 themselves.

11 First, Carl Cranor.

12 PANEL MEMBER CRANOR: Carl Cranor, Distinguished
13 Professor of Philosophy and a member of the Environmental
14 Toxicology Graduate Program.

15 DR. COGLIANO: Thank you.

16 Lara Cushing.

17 PANEL MEMBER CUSHING: Hi. I'm Lara Cushing.

18 I'm an Assistant Professor in the Department of
19 Environmental Health Sciences at the University of
20 California, Los Angeles.

21 DR. COGLIANO: Thank you.

22 Oliver Fiehn.

23 PANEL MEMBER FIEHN: Hi. I'm Professor in the
24 Genome Center -- Professor in the Genome Center at the
25 University of California, Davis.

1 DR. COGLIANO: Thank you.

2 Ulrike Luderer.

3 PANEL MEMBER LUDERER: Hi. I'm Ulrike Luderer.
4 I'm Professor in the Department of Environmental and
5 Occupational Health and Director of the Center for
6 Occupational and Environmental Health at UC Irvine.

7 DR. COGLIANO: Thank you.

8 Tom McKone.

9 PANEL MEMBER MCKONE: Hi. I'm Tom McKone. I'm a
10 Professor Emeritus at the School of Public Health at the
11 University of California, Berkeley.

12 DR. COGLIANO: Thank you.

13 Jenny Quintana.

14 PANEL MEMBER QUINTANA: Hi. My name is Penelope
15 or Jenny Quintana. I'm a Professor of Environmental
16 Health at the School of Public Health at San Diego State
17 University.

18 DR. COGLIANO: Thank you.

19 And now, I'll hand the floor over to our Chair,
20 Meg Schwarzman, who will provide more details about
21 today's meeting.

22 CHAIRPERSON SCHWARZMAN: Thank so much, Vince.
23 I'm Meg Schwarzman in the Environmental Health Sciences
24 Division at University of California Berkeley, School of
25 Public Health.

1 So thank -- first of all, before we get started
2 into this meeting, I just want to acknowledge and thank
3 Ulrike Luderer who stepped in at the very last minute to
4 chair the March meeting, when I was suddenly unable to.
5 And I appreciate your stepping in in a pinch like that.

6 I want to start by announcing the Panel goals for
7 the meeting. So we're going to hear updates from -- about
8 both Program activities and community biomonitoring
9 studies. And then the Program would like to hear input
10 from the panel and the public about priorities for future
11 work.

12 After each presentation, as usual there will be
13 time for questions from the Panel and from the audience.
14 So a bit now about kind of logistics for this new format,
15 which is both in person and remote. If SGP members want
16 to speak or ask a question, just raise your hand, like
17 physically raise your hand, and I can see you.

18 I'll call on you at the appropriate time and you
19 can ask your question or provide your comment. Webinar
20 attendees, who have questions or comments during the
21 question periods can submit them via the Q&A feature of
22 Zoom or by email to [biomonitoring@oehha - O-E-H-H-A -](mailto:biomonitoring@oehha-oehha-ca.gov)
23 [.ca.gov](mailto:biomonitoring@oehha-oehha-ca.gov). We won't be using the chat function during the
24 meeting, so don't try to ask questions by chat.

25 And you can just keep the comments brief and

1 focused on the items under discussion and we'll read aloud
2 relevant comments, paraphrasing them if necessary. If
3 online webinar attendees want to speak rather than provide
4 written comment during the public comment periods and
5 discussion sessions, you can use the raise hand feature in
6 Zoom webinar, because I can't see you, and I'll call on
7 you from using the raise hand feature.

8 If you are attending in person and wish to
9 comment, you can come to the podium or raise your hand and
10 Stephanie Jarmul who's in the room will call on you at the
11 appropriate moment. And for the benefit of the
12 transcriber, please clearly identify yourself before
13 providing a comment and write your name and affiliation on
14 the sign-in sheet, if you're in the room.

15 So to get started with our first presentation, I
16 want to introduce Kathleen Attfield. Kathleen is Chief of
17 the Exposure, Surveillance, and Epidemiology Unit, which
18 is part of the Exposure Assessment Section in the
19 Environmental Health Investigations Branch, or EHIB, at
20 the California Department of Public Health.

21 She will give an update on current Program
22 activities.

23 (Thereupon a slide presentation.)

24 DR. ATTFIELD: Just testing to see if you can see
25 my slides.

1 CHAIRPERSON SCHWARZMAN: That look's perfect.

2 DR. ATTFIELD: Okay. Wonderful.

3 PANEL MEMBER CRANOR: Yes.

4 DR. ATTFIELD: Okay. Thank you.

5 So good afternoon. Again I'm Kathleen Attfield
6 representing the Program today for overall Program
7 updates.

8 --o0o--

9 DR. ATTFIELD: Today, I will walk through several
10 updates on the administrative side of things, our
11 surveillance projects, and updates from our two
12 laboratories that are part of the Biomonitoring California
13 Program.

14 --o0o--

15 DR. ATTFIELD: So first to review our budget.
16 You can see on the right-hand side, probably the part that
17 interests you the most, fiscal year 2022 through 2023, how
18 we have the continuation of the budget augmentation for
19 the Biomonitoring California Program. And additionally,
20 the recently signed budget has confirmed the permanent
21 funding addition for air pollution-related biomonitoring
22 work as related to Assembly Bill 617 that passed in 2017.

23 --o0o--

24 DR. ATTFIELD: With the budget augmentation,
25 we -- we're very fortunate in being given additional

1 position authorities. And we've been working very hard
2 over the past year to advertise for and bring in new
3 staff. And that's included new health educators, a health
4 program manager, and laboratory research scientists,
5 manager, and fellows. Our work is not quite done. We
6 still have a number of positions to fill, including
7 research scientist epidemiologist positions, from entry
8 level to branch advisor level, and in the laboratories,
9 research scientists from levels I through III through a
10 supervisor and another fellow.

11 So I appeal to everyone on the panel and those
12 listening in to our meeting today to either -- to share
13 this information. And those of you that are interested in
14 applying, please check out our CalCareers website for more
15 information.

16 --o0o--

17 DR. ATTFIELD: We'd like to welcome those that
18 have been hired since our last SGP meeting. So Amanda
19 Hooker, Emilie Kadhim, Judy Wang, as well as soon to be
20 joining us Ilaria Lentricchia and Amber Kramer.

21 We are wishing well to Sara Hoover, who has been
22 reducing her time on the Program in preparation for
23 retirement and to staff who have moved on to other
24 positions including Faye Andrews and Salmon -- Simon Ip.
25 So you can see we -- you can see we've had a lot of change

1 happening within Biomonitoring California. We're really
2 excited about the expanded capacity that we will be having
3 and do have with our new staff members.

4 --o0o--

5 DR. ATTFIELD: So to move on to our surveillance
6 project updates. I'll first talk with you about the
7 Biomonitoring Exposures Study. And this was one where
8 over the last few months, we took -- undertook a new
9 initiative to create population-based estimates of the
10 biomarker concentration distributions that we have by
11 working with a survey data consultation company to weight
12 the data to the underlying population of the region.

13 --o0o--

14 DR. ATTFIELD: Now, for those who are not
15 familiar with or need refamiliarization with our BEST
16 study. So this was a collaboration with the Division of
17 Research of the Kaiser Permanente Northern California.
18 And this was one of our earlier studies and one of our
19 first initiatives to try to do a more regional
20 surveillance approach for the State to understand
21 population-level exposures.

22 So it involved a stratified random sample of
23 adult Kaiser members from the Central Valley, which you
24 can see highlighted in green in the map on the left.

25 --o0o--

1 DR. ATTFIELD: So I'll be talking with you about
2 the Expanded BEST portion of BEST and that was the larger
3 portion of the study that took place in 2013. It
4 incorporated 341 people and its recruitment had a special
5 emphasis on sampling of Hispanic and Asian Pacific
6 Islander Kaiser members.

7 --o0o--

8 DR. ATTFIELD: So the targeted recruitment allows
9 us to create more precise estimates for those groups, but
10 it did mean that overall, study demographics were
11 disproportionate to the underlying population. So to show
12 you that -- aha, the boxes have moved again, but I think
13 we get the idea.

14 By design, the Asian and Spanish preferring
15 Hispanic groups and rural groups were overrepresented,
16 which the addition of the weighting that we have done
17 helps to correct for that in order to make overall
18 population estimates.

19 --o0o--

20 DR. ATTFIELD: These weights have now been
21 applied across all our chemical panels and we have quite a
22 number of them through the BEST study. This includes
23 metals, phenols, quite a number of panels for the
24 pesticides, perchlorate, phthalates, polycyclic aromatic
25 hydrocarbons, or PAHs, the PFASs, polybrominated diphenyl

1 ethers, or PBDEs, and polychlorinated biphenyls, or PCBs.

2 --o0o--

3 DR. ATTFIELD: So we're going to be adding the
4 weighted data to our data portal of the Biomonitoring
5 California website. And so I'd like to show some of the
6 differences to the unweighted data, so that those who are
7 using BEST data for comparisons to other studies can best
8 understand which version is of most use to them. And that
9 is a question we have of the Panel actually is how can
10 we -- how can the Program convey the utility of new
11 weighted data to stakeholders and other researchers.

12 So here we see how the weighted geometric means
13 are lower than their unweighted values for blood mercury,
14 urinary mercury, and urinary arsenic of the geometric --
15 yes, the geometric means, as I said.

16 --o0o--

17 DR. ATTFIELD: So a little bonus information.
18 Just because of the way that the sampling was done, and
19 the stratifica -- and the stratified design, and the way
20 the weights use the joint distribution by urban/rural, it
21 allows us some better estimates of when we get down into
22 the stratified concentrations by these different variables
23 that we're interested in. So ones where you start seeing
24 some differences between the population are here with the
25 older age group being higher for blood mercury and for the

1 Asian group with also blood mercury being higher as
2 reflective of the Central Valley.

3 --o0o--

4 DR. ATTFIELD: Moving on to an update on CARE-LA
5 and CARE-2. These surveillance projects, like in BEST, we
6 have been weighting the data to reflect overall regional
7 population biomarker concentration distributions. And
8 we've been prepping the weighted data to be uploaded to
9 our website's database. So that has made the -- the ways
10 we are structuring our data portal a little more
11 complicated, which I'll talk about later when I talk about
12 the website updates.

13 So we are in the draft phases of the CARE report,
14 and -- that we had described at prior SGP meetings and are
15 including some useful infographics like those shown on the
16 right, as well as describing and listing out in tables the
17 demographic trends in the data on age, gender,
18 race/ethnicity, income, and education. So we're very
19 excited by this data product and look forward to it coming
20 out in the fall.

21 --o0o--

22 DR. ATTFIELD: Next an update on CARE-3, which
23 took place in San Diego and Orange counties in the
24 beginning of 2020, but was stopped early due to the
25 COVID-19 emergency. For this study, we had a goal of

1 between 300 and 500 participants and had invited 532
2 people to participate. But by the time we shut it down,
3 only 90 people had been able to complete the study. So
4 unlike CARE-LA and CARE-2 we do not consider this group of
5 people representative of the underlying population. We
6 consider it more a convenience sample, so we are not
7 weighting the data for CARE-3.

8 However, we are still making the data available
9 and I'm going to give you a quick description of some of
10 the findings of the chemicals measured, which were metals,
11 PFAS, and environmental phenols.

12 --o0o--

13 DR. ATTFIELD: So for the metals, they were
14 detected almost universally. In blood, we saw lead,
15 mercury, and cadmium, and manganese in over 95 percent of
16 participants. And in urine, we saw arsenic, cadmium, and
17 mercury in over 88 percent of participants. In the
18 Biomonitoring California Program, we follow up with people
19 who have levels above a certain threshold for four of our
20 metals to help them identify possible routes of exposure
21 to reduce their exposures. And in CARE-3 we had nine
22 participants with a metal level above a relevant level of
23 concern.

24 --o0o--

25 DR. ATTFIELD: For PFASs, it's probably not

1 surprising to many that we still are detecting them in the
2 vast majority of Californians, and specifically in these
3 90 participants. On average, we saw seven PFAS. The most
4 commonly detected were PFOA, PFOS, and PFHxS. Their level
5 -- these levels were pretty similar to CARE-LA and CARE-2,
6 and similar to CARE -- the previous CAREs. They're also
7 lower than the national estimates that we see provided in
8 NHANES. And 2017-2018 is the most recent set of years
9 available for NHANES. It's a little temporally different,
10 but the best we can do at the moment.

11 --o0o--

12 DR. ATTFIELD: We wanted to update you on one of
13 our big priorities, which is trying to expand our
14 collaborations. And we want to extend the impact of the
15 data that we have. We've been working with the Stockholm
16 Institute with Matt MacLeod on pharmacokinetic properties
17 of PFAS using the CARE data. And most specifically, the
18 first part of the project they've been working on has been
19 looking at the differences in P -- differences or
20 non-differences in peak intakes for PFAS in Cal -- between
21 California and national levels. And we're hoping that
22 that can be presented to the Panel in the fall SGP.

23 We've been working with the California Water
24 Boards on bringing together CARE biomarker data with
25 drinking water data for PFAS in order to help them with

1 their processes of creating new maximum contaminant levels
2 for various PFAS.

3 And lastly, we have been working with the Silent
4 Spring Institute, which is a nonprofit research institute,
5 into occupational exposures seen within the Asian Pacific
6 Islanders projects that we have.

7 --o0o--

8 DR. ATTFIELD: And though we are staffing up with
9 recent new funding, we still have lots more data than we
10 can currently attend to. So we welcome the Panel's
11 suggestions for other types of collaborations we can
12 undertake.

13 --o0o--

14 DR. ATTFIELD: To update you on our new
15 surveillance work employing maternal serum samples from
16 the Genetic Disease Screening Program, we are in the
17 planning stages where we are able to accommodate the lab
18 analyses of 500 samples per year. And so as one might
19 expect, we've been reviewing a lot of PFAS literature.
20 We've been consulting with PFAS researchers. We've been
21 assessing budgeting timeline and logistical constraints
22 and trying to assess the potential for our work to address
23 different types of surveillance questions.

24 So we are currently putting more of an emphasis
25 on the time trend aspect of the surveillance work as

1 recommended by the panel in our last meeting.

2 --o0o--

3 DR. ATTFIELD: But we are also exploring an
4 alternate year design, where we can make use of both
5 Banked samples, at which are available for some counties
6 in California, and non-Banked samples, or freshly
7 collected samples, which are available in other counties
8 of California. And this also relates to a difference
9 between the amount of volume of the sample available. So
10 a low volume was Banked and a higher volume with the
11 freshly collected samples. So this allows us in one set
12 of years being able to look retrospectively and
13 prospectively on PFAS trends, but also on our alternate
14 years allows analysis of other types of anal -- analytes
15 that can be tracked in this media of the serum. And
16 non-targeted analyses because of the greater volumes that
17 this represents.

18 --o0o--

19 DR. ATTFIELD: We're also reviewing prior data
20 that we have and that the lab has analyzed quite a number
21 of samples from prior years from the GDSP, so, 2012, 2015,
22 2016. And that's also of different areas of California
23 with 96 to 292 samples.

24 --o0o--

25 DR. ATTFIELD: And then, of course, we have a lot

1 of permissions to gain with our IRB application and our
2 Biobank requests to GDSP. And as recommended by the Panel
3 last time around, expanding our collection of variables
4 and our linkage to potential health outcomes, we're also
5 applying to Vital Statistics to be able to match
6 pregnancies, that are tracked in Vital Stats as well as
7 through the Biobank program. So that's going to be a boon
8 for our surveillance work.

9 --o0o--

10 DR. ATTFIELD: So moving on to updates from our
11 two laboratories that make up Biomonitoring California.
12 So first, the Environmental Health Lab out of the
13 California Department of Public Health. They have three
14 methods that are in progress at the moment, VOC
15 metabolites, mercury speciation, and PAHs with the action
16 of transferring to a new analytical platform. Details
17 there if you want the gory details.

18 --o0o--

19 DR. ATTFIELD: And then with untargeted analyses,
20 the advancements that have taken place in reference to
21 parent compounds in blood and environmental samples
22 involve the installation of a new Agilent machine, as well
23 as for unknown metabolites in urine of training new staff
24 to use the HPLC/Q Exactive Plus platform.

25 --o0o--

1 DR. ATTFIELD: For the Environmental Chemistry
2 Lab at the Department of Toxic Substance Control, the
3 siloxane method that they have initiated on four of these
4 siloxanes listed there is involving the GC-MS/MS and SPME
5 sampling system. They have completed their migration of
6 the legacy method that we've had for 12 PFASs to a newer
7 instrument and that's bringing the wonderful benefits of
8 decreasing analysis time by 50 percent, but also
9 decreasing the necessary volume necessary for the analysis
10 and this has been validated and added to their ISO
11 accreditation.

12 --o0o--

13 DR. ATTFIELD: In progress is an ex -- is the
14 optimization of an extended PFAS method. So moving from
15 the 12 standard PFAS potentially up to 43 PFAS here, this
16 includes new to us PFCAs short chain and long chain, as
17 well as new generation PFAS compounds Gen-X, ADONA, F53B,
18 and these three have also been added to the CDC's PFAS
19 method, and in addition, several -- well, many other
20 notable PFAS.

21 --o0o--

22 DR. ATTFIELD: For their -- oh, yes, I see.
23 Sorry. In this method, they are trying to modify their
24 serum method, so that they can have an equivalent method
25 for PFAS and plasma. And that's in the early stages, but

1 pilot results with paired samples are showing the success
2 and plausibility of this approach.

3 --o0o--

4 DR. ATTFIELD: So I'm going to end with some
5 information about new resources that are available on the
6 Biomonitoring California website that I hope everyone will
7 go and look into. So our designated chemicals list has
8 been updated. And this is routinely done when the CDC
9 updates their lists of chemicals that they're analyzing
10 for. So we have a fair number of compounds that are
11 listed there, also including several VOCs, and pesticides,
12 and nickel.

13 I want to especially note that based on the work
14 of the prior March SGP meeting, that that PFAS definition
15 change is now reflected in the designated chemicals list
16 and also in our priority chemicals list. As I noted
17 before, the CARE-3 data is now available up on the website
18 and we have a new CARE-LA lay-friendly study summary that
19 can be found and that's available in English and Spanish.

20 So with that --

21 --o0o--

22 DR. ATTFIELD: -- I will defer to the Panel for
23 any questions that you may have and the public. And I'd
24 like to thank all of our participants and our
25 collaborating organizations for making all of these

1 projects a success and especially our very dedicated
2 staff.

3 So thank you.

4 CHAIRPERSON SCHWARZMAN: Thanks so much,
5 Kathleen. We have 10 minutes now for questions --
6 clarifying questions from the Panel and from anyone else
7 attending the call. And then we have a longer 25-minute
8 discussion period. So just to break those into two
9 sections, clarifying questions for Kathleen. And if
10 you're a Panel member, I'll see you raise your hand and
11 participants on the meeting can use the raised hand
12 function if they're on the Zoom meeting or present in the
13 library.

14 I think I saw Oliver, please.

15 PANEL MEMBER FIEHN: Thank you. That was very
16 informative and congratulations to these acquisitions of
17 new instruments and the transitions to faster turnaround
18 times or short turnaround times. That's great. I wonder
19 in terms of these two untargeted assays, the GC/Q-TOF as
20 well as the LC/Q Exactive. I understand untargets --
21 untargeted analysis means, you know, we're not very sure
22 what we're looking for, but we hope for the best. But
23 still you need some, how can I say, libraries or ideas
24 what to look for. Is there a concept?

25 DR. ATTFIELD: I'll need to defer to whichever

1 laboratory you're specifically interested in. Was that
2 EHL or --

3 PANEL MEMBER FIEHN: That was mostly for the, for
4 example, the LC/Q Exactive. There was -- you said LC --
5 HPLC/Q Exactive was purchased and -- there you go. This
6 one.

7 DR. ATTFIELD: Okay.

8 PANEL MEMBER FIEHN: So you had a GC/Q-TOF and
9 the staff are being trained. And I wonder if it's a
10 concept or a plan how do to utilize these instruments,
11 specifically the Q Exactive.

12 DR. WAGNER: This is Jeff Wagner from
13 Environmental Health Laboratory Branch. I don't see
14 Jianwen She on the participants list right now, if you're
15 on Jianwen. He's the Director of this --

16 PANEL MEMBER FIEHN: Okay.

17 DR. WAGNER: -- activity. But I can't say that I
18 know that he's been concerned about various, you know,
19 quantitation accuracy issues that have to do with
20 additional metabolites of certain target compounds of
21 interest and looking into that as a way of making things
22 more comprehensive. But I can get in touch with him and
23 have him follow up with you, if you'd like.

24 DR. SHE: Hi, Jeff.

25 PANEL MEMBER FIEHN: I see him.

1 DR. SHE: Jianwen, here.

2 DR. WAGNER: Great. Sure.

3 DR. SHE: Yes. Thank you, Professor. You are
4 right. With LC/Q -- thank you, Jeff also -- Q Exactive
5 Plus, library is a bigger issue. And untargeted -- I
6 completely agree with you, untargeted still need to be
7 defined under certain domain and certain things we might
8 know. So for the Biomonitoring Program, we start with
9 build basically the chemical database -- priority chemical
10 database. We also build a database on the environmental
11 phenol group, BP3 groups.

12 So we try to start with a class-based library
13 build up. But definitely like BinBase database, any
14 commercial database, like some of the database, and
15 software from Thermo. This machine is from Thermo,
16 Thermo's Mass Frontier. Any database we try to learn to
17 build up. So I don't know if that's -- I answer your
18 question or what's --

19 PANEL MEMBER FIEHN: Yeah, also like offer help
20 if we want to talk about it more on -- offline so to say
21 strategies and what -- I just wanted to raise that.

22 DR. SHE: Sure.

23 PANEL MEMBER FIEHN: Congratulations on the
24 instrument, but also happy to engage in discussions.

25 DR. SHE: Yeah. Thank you very much. We really

1 learn -- like to learn from your metabolomic centers and
2 the pioneering work you have done, and definitely offline
3 discussion. This is a challenge -- very challenging
4 topics. And then even in our -- at CDPH, we have -- I
5 tried to form MS -- we called it some kind of clubs to
6 bring this issue to discuss. But work with you will
7 definitely be very helpful. Yeah.

8 CHAIRPERSON SCHWARZMAN: Jenny.

9 PANEL MEMBER QUINTANA: Hi. Thank you for that
10 update. I had a question about the human subjects
11 approval. Could you just remind me these samples you're
12 getting, the maternal samples, these are not going to have
13 results returned to them, is that correct?

14 DR. ATTFIELD: That's correct, because we
15 received them in a de-identified fashion.

16 PANEL MEMBER QUINTANA: But you're going to
17 receive them de-identified and have them linked to the
18 birth record, but all of it -- it's linked, but
19 de-identified, is that what you are saying?

20 DR. ATTFIELD: Correct.

21 PANEL MEMBER QUINTANA: Okay. Yeah, because I
22 just -- I do have concerns with non-targeted analysis,
23 because you do -- you are able to pick up drugs of abuse
24 and things like that. So I think there's a -- there's a
25 real issue with -- with that. Especially if the database

1 is made public, somehow that could be searched by somebody
2 for compounds that you don't report even. So I just do
3 think there's ethical -- ethical issue in finding stuff
4 you weren't looking for which we've run into in our
5 studies just in house dust, finding a lot things.

6 DR. SHE: Kathleen, may I give a comment on the
7 issue?

8 DR. ATTFIELD: Of course.

9 CHAIRPERSON SCHWARZMAN: Of course.

10 DR. SHE: This is Jianwen.

11 DR. ATTFIELD: I was just going to acknowledge
12 that, thank you, that's a very valid concern and we'll
13 take it into account for planning.

14 And then I think Nerissa had a comment for you
15 afterwards.

16 Go ahead, Jianwen.

17 DR. SHE: Okay. Yes. The machine -- actually,
18 we called it a full scan issue, but the technology allow
19 us to build an excluded list -- inclusion list, for which
20 we are excluded the target we might have concern, as long
21 as we know which chemical we do not likely to look at. We
22 can tell the machine do not acquire the data on them, do
23 not -- so the un -- complete untargeted can still be
24 guiding this elective, so that the technical comment we
25 might able to solve that issue by the exclusion list or

1 other technology.

2 PANEL MEMBER QUINTANA: You'd have to have a
3 pretty complete list.

4 DR. SHE: Yeah, that's a --

5 PANEL MEMBER QUINTANA: That's a great -- that's
6 really great that you can do that though. Thank you.

7 CHAIRPERSON SCHWARZMAN: Nerissa, did you want to
8 add something?

9 DR. WU: I did. Thanks. Jenny, I appreciate
10 your concern. And this is something we've talked about
11 with -- in relation to samples to which we have
12 participants connected. And it's one of the reasons why
13 we haven't done non-targeted or semi-targeted screening
14 with the CARE study or other participant studies. The
15 other is that I think some of the results are a little
16 harder to explain to participants and so we don't want to
17 have so much uncertainty when we're returning our results
18 to our participants, so these samples offer kind of a
19 unique opportunity, because results return isn't -- isn't
20 a part of it.

21 PANEL MEMBER QUINTANA: Thank you.

22 CHAIRPERSON SCHWARZMAN: And just for my
23 understanding, you know, results return has been such a
24 central part of Biomonitoring Program's work and really in
25 pioneering developing those methods, and developing really

1 helpful information for participants. And I think it's
2 been a big contribution of the Program. But I know
3 that's -- if I understand right, it's partly like
4 established in the -- in the -- when the Program was
5 established.

6 So have you had to do something to kind of get
7 around that in this situation where the samples are
8 de-identified and there is no possible way to inform
9 participants? I think you've -- I think this has come up
10 before, and so forgive me if you're having to repeat
11 something that we've talked about, but if you wouldn't
12 mind restating it.

13 DR. WU: Sure. I mean, the requirement of
14 returning results for participants is part of our ethic of
15 our program as well as part of the legislation. So as
16 long as we can, as long as we do have participant
17 identification, we -- we make the results available. In
18 this case, those -- those identities are just not
19 available by policy of the Biobank. Identification is not
20 available. So -- so it's just -- it's just not feasible
21 for us to return results.

22 That said, you're correct, that we still want to
23 use this as an opportunity to provide education and
24 awareness of environmental exposures. And so we're
25 fortunate we now have a health education group, which is

1 going to be really focusing on strategies and, you know,
2 who is our audience, and really boosting that part of like
3 how do we get information out to -- it won't be the same
4 participant group, but to stakeholders who might be
5 impacted by these exposures.

6 CHAIRPERSON SCHWARZMAN: Thanks. I appreciate
7 that. And also, I'm also -- while simultaneously so
8 supporting that work and that effort that's in the ethic
9 and the founding legislation of the Program, I'm also glad
10 it doesn't preclude the Program from using the GDSP
11 samples. So I think it sounds like a nice way to navigate
12 it.

13 Other questions from the Panel or from other
14 attendees for Kathleen based on her -- or other members
15 based on Kathleen's update?

16 Kathleen.

17 DR. ATTFIELD: I was just going to add something
18 to the prior question in that the kinds of studies that
19 the OEHHA group is taking on with various community
20 groups, we still have the ability to develop and refine
21 our results return materials. So I just want to make --
22 make sure it doesn't sound like we've moved away from it
23 completely as a program.

24 CHAIRPERSON SCHWARZMAN: Thank you.

25 Any other questions based on Kathleen's update

1 about the Program in general and the changes that are
2 being made, the weighted data. If not, we'll move on to
3 our discussion questions.

4 So we have some time for discussion among the
5 Panel members and anyone attending the meeting around some
6 of the issues that Kathleen raised in her presentation,
7 particularly around the new weighted data. And some
8 things that I think -- so I will -- I'll just mention some
9 things that the Program wants feedback on, but there's
10 also, you know, any comments or discussion points that the
11 Panel wants to raise are fine too.

12 So one is this question around communicating the
13 new weighted data. So are there -- so how best can the
14 Program convey the utility of that data to a range of
15 stakeholders, other researchers and communities?

16 The Program also wants input on how the Program
17 can expand the impact of the -- of the biomonitoring study
18 findings for communities and other stakeholders, like
19 where else should this information be going and used by
20 whom, and how can the Program facilitate that. And then
21 finally, Kathleen talked about new collaborations and also
22 the fact that there's more -- more data than available
23 hands to analyze it. And so they're looking for
24 suggestions from the Panel for expanding collaborations on
25 existing projects and to analyze existing data. So any

1 thoughts on those topics from the Panel members.

2 And since you're still -- we're still sharing
3 your screen, Kathleen, do you want to put your list of
4 questions up so that people can continue to refer to them?

5 DR. ATTFIELD: I have them broken across two
6 pages, so I can slowly move between the two. For the
7 question about collaborations, we actually threw in a
8 couple examples, because I know it can be a kind of
9 abstract type of question.

10 CHAIRPERSON SCHWARZMAN: Then maybe we should
11 start on -- let's start on the first two questions that
12 are on your first slide, Kathleen, and we'll treat
13 collaborations separately --

14 DR. ATTFIELD: Okay.

15 CHAIRPERSON SCHWARZMAN: -- since you've broken
16 that down and we can go into a little bit more detail.
17 Any input from the Panel on these two questions?

18 Jenny.

19 PANEL MEMBER QUINTANA: I act -- I haven't read
20 your material -- your outreach material, but I don't want
21 to sound crabby or anything, but I think it's important
22 to -- to point out the limitations of weighting. I mean
23 the -- if I remember, the population skewed higher income.
24 And so just emphasizing we'd like to have more studies
25 that were completely inclusive, you know, in the future I

1 think would be helpful. I mean, not -- not to take away
2 for the huge effort that you did. That was great. But I
3 think we still could do better in terms of really
4 including the most disadvantaged populations in the state.
5 And so I'm not sure if it's worth kind of at some point
6 just mentioning that, that that's our goal -- it's our
7 goal to do that.

8 And then I'm wondering -- I know you don't have
9 much money, but I'm wondering if it's worth trying to do a
10 few focus groups of maybe even State agencies that work
11 with different populations. So in terms of what do they
12 find interesting about these findings, did they relate to
13 their -- to their populations especially. And I'm just
14 thinking one example of Tobacco-Related Disease Research
15 Program has these institutes that focus on priority
16 populations -- different priority populations. And they
17 could be -- they could see whether the priority
18 populations had found these of particular interest to the
19 community, or something like that, to -- to kind of extend
20 the reach or something like that.

21 CHAIRPERSON SCHWARZMAN: Ulrike.

22 PANEL MEMBER LUDERER: Yeah, kind of related to
23 what Jenny was talking about. I recall that for the -- I
24 think for the CARE-LA and the -- let's see, the CARE-2, I
25 guess it's called, studies that you worked with community

1 groups in the area, you know, to get the word out about
2 the studies. And I'm wondering are there -- you know, one
3 idea might be to go back to those, you know, via those
4 community groups. You know, I don't know whether you
5 would have the bandwidth to be able to -- now with more
6 staff that you're hiring, which is wonderful. I was
7 really happy to hear that to maybe do some presentations,
8 you know, where you can actually go out -- go back to some
9 of these groups that helped with the recruitment and
10 getting the word out to -- to present some of the study
11 results to those communities.

12 CHAIRPERSON SCHWARZMAN: Kathleen, you're
13 unmuted, which made me wonder if you were going to
14 respond, because I had actually the exact same
15 recommendation as Ulrike did, but also around a question
16 of what are your current interactions with the community
17 groups that you've worked with at the outset of a study
18 with around -- you know, you do results return to
19 individual participants, but what is the current setup or
20 what have you done like in CARE working in terms of
21 communicating results and findings to the community groups
22 that you've worked with?

23 I'm thinking also of the -- there's some
24 community groups that sent representatives to one of our
25 meetings. It was probably a couple years ago. Anyway,

1 I'm thinking about that as a different level of results
2 return, rather than individual results, but working with
3 the community groups who have been good partners to find
4 out what education and outreach is useful to them, what
5 the results mean to them and what else might be needed.
6 Is the Program already doing that kind of work, and if
7 not, what does that sound like?

8 DR. ATTFIELD: Right. For CARE-LA, we did an
9 initial report back to an environmental justice meeting --
10 a focused meeting of the California Air Resources Board in
11 Los Angeles and invited all the organizations that had
12 supported our work there. And we have had more plans to
13 get back to CARE-LA and CARE-2 community groups. And I'm
14 going to defer to Nerissa on this one, because as you say,
15 now we have some expanded capacity to make good on our
16 intentions.

17 So, Nerissa, are you -- can you chime in here?

18 DR. WU: Yeah. Sure. So we did have plans. Our
19 intent was always to hold some kind of public meeting
20 following each CARE region. CARE-2 would have been right
21 when we were in CARE-3. And, of course, that was shut
22 down because of COVID, so now it's an opportunity for us
23 to think about how -- what that might look like now that
24 people are a little more accustomed to Zoom meetings and
25 we have a little more bandwidth as a Program.

1 We are also, now that we have the lay-friendly
2 CARE-LA document that's been posted that Kathleen
3 mentioned, we are planning on putting something like that
4 together for CARE-2, so we'll have another tool that we
5 can use to -- to bring those results back to the
6 community.

7 I also want to mention that the ACE Study, which
8 is going back a few years now, we did meet with the
9 community both -- both the broader community, but also
10 our -- our -- the community organization that helped us
11 recruit APA Family Services. And we did that in
12 conjunction with the San Francisco DPH to talk about ways
13 that DPH could then follow up with them and maybe work on
14 some strategies for exposure reduction, but that's
15 something that we have not gotten back to, but it's
16 something we really look forward to with our expanded
17 capacity.

18 CHAIRPERSON SCHWARZMAN: Great. Thank you.

19 Tom, did you have a comment?

20 PANEL MEMBER MCKONE: Well, most of what I was
21 interested in has been covered. I mean, the same topic as
22 how to reach out to the communities. I guess the only
23 thing I would add to it is if there are other channels,
24 maybe social media or the -- like the neighborhood groups
25 or something where you could put out the information or at

1 least put out a link and let people know this data or this
2 information is available, and if they're interested in
3 what's -- you know, what's their exposures to chemicals,
4 there's one way of looking at it.

5 You know, and again that's a little different
6 channel than working through the leaders, but it's
7 probably -- I mean, a lot of people if you get it in their
8 social network, they'll -- they'll spread it around one to
9 the other sometimes very quickly.

10 Add, I mean, there's a risk to doing that, that
11 the information could get augmented, or biased, or
12 misinterpreted through those channels, but it was just a
13 thought.

14 CHAIRPERSON SCHWARZMAN: Kathleen, do you want to
15 go to the next slide that has the expanded thoughts about
16 collaboration?

17 DR. ATTFIELD: Come one, come all.

18 CHAIRPERSON SCHWARZMAN: So is this list -- just
19 to clarify, Kathleen, are these -- this is the data that
20 you have or the data that you haven't been able to analyze
21 or just the -- these are described --

22 DR. ATTFIELD: These are the kinds of initiatives
23 that we've sort of started on, but, you know, not been
24 able to take too far. So they're just projects that are
25 burning a hole in our pockets that might burn holes in

1 other people's pockets.

2 (Laughter.)

3 DR. WU: I think in the previous meeting, we did
4 talk a little bit about this larger data package that we
5 were hoping to come out with, which included all of our
6 studies, all -- it was more of an index of data that we
7 had, but it's a little overwhelming, so Kathleen has
8 distilled it down into sort of a hot topics list,
9 hoping --

10 (Laughter.)

11 DR. WU: -- hoping that we'll -- we'll whet
12 somebody's appetite.

13 DR. ATTFIELD: The metals one we especially
14 highlighted because we had been in conversations with the
15 Minnesota Biomonitoring Program that has had also some
16 arsenic exceedances there. And they've been challenged a
17 bit with how to convey some of the finer points and
18 methods of avoiding particular exposures through rice and
19 fish. So we're -- we're interested in expanding our work
20 to be able to help provide better guidance.

21 CHAIRPERSON SCHWARZMAN: Lara.

22 PANEL MEMBER CUSHING: This is more of a question
23 than a helpful suggestion. But, you know, we're all in
24 academic institutions and work with a lot of students, and
25 I'm not -- I'm still getting up to speed as a new Panel

1 member on all the varied activities of Biomonitoring
2 California, but I certainly work with a lot of graduate
3 students that are hungry for projects and looking for
4 data. So do you have already, you know, internship
5 programs or fellowships, some of the -- you know, the
6 challenges, at least for master's students, you know, they
7 don't -- they're not there that long and so it would have
8 to be a small project, but for PhD students, of course, it
9 could be longer. So do you have -- already have
10 mechanisms to kind of collaborate with students and their
11 faculty advisors, and bring them in to maybe provide -- be
12 collaborators on some of these ideas?

13 DR. ATTFIELD: We've already -- we've already had
14 a history of working with both master's students and PhD
15 students in the past. And I'm going to defer to Nerissa
16 for like the funding mechanism aspect of it, because I
17 know that's always appealing and a way of bringing more
18 people on. We have set up MOUs with various institutions,
19 if it's going to be a very, you know, large kind of
20 venture. And Nerissa, can I defer to you for further
21 elaboration?

22 DR. WU: Sure. There are a bunch of ways in
23 which we have worked with trainees from students to
24 graduates. We have EIS and CDC fellows and we have CSTE
25 fellows. But current students, it -- it somewhat depends

1 on what they're looking for. If it's a capstone project
2 in which we're like an advisor and providing data, we can
3 certainly do that, but it's a little harder if the student
4 is looking for like an on-site work experience, where
5 they'd be interacting with staff. I mean, it's -- the
6 whole workplace has changed. We don't really have an a
7 on-site work presence any more. And we don't actually --
8 funding for interns is a little harder to come by now.
9 But if somebody's looking for a data-only project, I think
10 that's something that we -- we should talk about.

11 We have worked with UC Irvine. We've talked --
12 we've worked with UC Berkeley. So we'd be happy to talk
13 to you more about possibilities of collaborating with
14 students.

15 CHAIRPERSON SCHWARZMAN: I've had this in the
16 back of mind for a while as a -- something that's kind
17 of -- has been maybe tapped into only piecemeal and
18 wondering if there's a way to -- to make it a little bit
19 more readily accessible and generalizable like -- well,
20 Lara, you could say more if this is -- if you think this
21 is the case with your students. But I get the sense that
22 there's an appetite for some certain number of like
23 data-only projects, right, like there's students at
24 various levels who need data to do their capstone or --
25 and then anywhere from capstone all the way up to

1 dissertation. And if it's dissertation, then it has to be
2 a good match with their advisor's work and has to be
3 connected somehow to original -- their original research.

4 But I wonder if there's a way to kind of
5 facilitate those connections in more than a one-off way.
6 So it would involve like the Program summarizing some of
7 the data or types of data that are un -- as yet, un -- or
8 underanalyzed and pushing those out to some identified
9 group of faculty members, some way to -- to lower the
10 activation energy for making those connections.

11 And I think it -- maybe it takes an offline
12 conversation between both sides to figure out what has to
13 happen to make that be the case. But it's something I've
14 been sort of trying to see my way through to for a while.

15 DR. WU: I think some of it depends on what would
16 happen with the data once it's analyzed and how much --
17 obviously, how much of a role the Program would have to
18 play in that if somebody is hoping to publish the data.
19 Obviously, we'd want to have a fair amount of interaction,
20 if it's really an academic exercise where lots of people
21 might be looking at the data in different ways and it's
22 kept within the academic realm. That's a really different
23 level of supervision or input that we'd need to have.

24 So, yeah, I would agree that we should talk about
25 this in more of a programmatic way rather than a we happen

1 to know this one student, because that will help us I
2 think open up the -- open up possibilities. And I think
3 both are actually helpful. I mean one is helpful in more
4 of an academic realm but the other is helpful to us as a
5 Program getting data out, but I don't think it's an
6 either/or situation. We could do both of those things.

7 CHAIRPERSON SCHWARZMAN: Great. I have Ulrike
8 and then Oliver.

9 PANEL MEMBER LUDERER: Yeah. Kind of related to
10 the -- the -- what you were just saying, Nerissa, that
11 it -- whether it's going to be published or if it's more
12 of a kind of an internal academic exercise. I mean, I
13 think if we're involving, you know, say a master's student
14 who's doing a thesis, or doctoral student doing a
15 dissertation, then, you know, there's an expectation that
16 it will be published as least, you know, the thesis or the
17 dissertation, so -- and hopefully actually as, you know,
18 in peer-reviewed manuscript -- manuscript form too.

19 So I think that that probably would be, I
20 think -- my sense is that there would be a lot of students
21 and faculty members who would be interested in -- in
22 doing -- in something like that. So I think working that
23 out up front is really important, you know, things like,
24 you know, authorship and, you know, all sorts of questions
25 that could arise around that.

1 So I think that is something to really think
2 about, you know, kind of as -- as Meg was saying sort of
3 more generally because I think it's something that will
4 come up multiple times.

5 Oliver.

6 PANEL MEMBER FIEHN: Yeah. I would like to
7 encourage also we ought to make this available via public
8 announcements, but carefully crafted language in the sense
9 of, you know, which data or which samples would be
10 available for which purpose, right? So that it's not
11 overarching. It's not like everyone can use everything
12 for everything, but it's clearly like we're -- we're --
13 the Program would say we would love to do it, but we don't
14 have the bandwidth or the right people. And we think that
15 would be interesting to investigate, but it's not the
16 highest priority perhaps, but it's certainly worth
17 publishing.

18 So -- so that way you can basically expand your
19 collaborations actually without costs, because many
20 academics wouldn't have, you know, the -- otherwise the
21 knowledge of the data or the samples and they might also
22 not have, you know, the ability to acquire similarly. So
23 it's kind of like -- I think -- I can see it as a win-win
24 for both the public as well as for the Program, as well as
25 for the academics, just saying. But it has to be

1 carefully crafted, you know, so that people exactly know
2 what they can apply for, or gain access to, or have a
3 conversation with.

4 CHAIRPERSON SCHWARZMAN: Jenny.

5 PANEL MEMBER QUINTANA: Hi. I had two comments
6 and a question. The first comment relates to what we're
7 talking about with students or anybody. The CDC
8 biomonitoring data has a whole process for asking
9 permission to use it for a thesis. And a lot of students
10 have done -- used it for a graduate thesis or
11 dissertation, so they have a whole process in forms, and
12 procedures. And you maybe could look at those rather than
13 trying to reinvent that procedure.

14 And also making sure timelines are very clear.
15 If you -- if you need to approve their thesis and it takes
16 six months, they need to know that ahead of time, you
17 know, in case they want to graduate, that kind of thing.

18 And I'm forgetting my other comment.

19 Oh, my other comment was for the slide that's
20 shown here, you're mentioning interest in difference by
21 race/ethnicity, but I would also really recommend that you
22 look at differences by income, as well any time you look
23 at race/ethnicity, in terms of disparities as well, just
24 to add that. You probably meant that as well, but just to
25 make that more explicit.

1 And then I also wanted to know -- and I probably
2 should know this already and I apologize, but are -- is it
3 ever a possibility to propose studies, so this would be
4 probably a proposed study with additional funding
5 obviously, that recontacts participants. And I'm -- I
6 mean a simple example might be the Asian American
7 population with high blood mercury, a dietary
8 questionnaire asking about fish consumption, but also what
9 parts of the fish. There's cultural differences and
10 eating like the head or the whole fish or something. And
11 I'm just curious if that's ever a possibility -- and I
12 probably, you probably discussed this already, but
13 apologize -- to do further analysis of data.

14 DR. ATTFIELD: I'm going to not answer the gist
15 of your question, but the context of your question, in
16 that we actually do have that information already. It
17 wouldn't involve a recontacting. So that's something that
18 is also of matter of we'd like to return to it as soon as
19 we have some new research scientists on staff or
20 collaborators who are particularly interested in those
21 questions. We have like what type of fish you've been
22 consuming, what parts of the fish, and -- I've looked at
23 some of that and the parts of the fish are definitely
24 interesting for PFAS, but, you know, that's a teaser to
25 throw out there.

1 As far as recontacting goes, Nerissa, I'm going
2 to defer to you, because that's not been a general
3 practice of the Program unless really necessary.

4 DR. WU: We haven't. I mean, you could go back.
5 We'd have to go through an IRB amendment. And I think
6 it -- it's not out of the question, but I think we'd want
7 to think about how old those data are or, I mean, how long
8 ago those participants were involved with a project of
9 ours, for example, ACE 2016-2017. We'd be recontacting
10 people after quite a long period of time. So I would
11 think we would want to think carefully before we -- we
12 reach out to people again.

13 But -- but again, like if it's something about
14 going back to CARE, that's a little more recent, I think
15 that would be more -- more feasible. I'm just thinking
16 from a -- both because we lose people, you know, they move
17 and are harder to follow up on, but also just because
18 their memory of the study may have faded by the time we
19 contact them.

20 But the ACE questionnaire was quite rich. It's
21 on our website. We asked a lot of questions that we would
22 not normally ask in an exposure questionnaire.

23 PANEL MEMBER QUINTANA: It was probably a bad
24 example, because I was just trying to give an example of
25 something you might you want, which your already have.

1 But do -- does your current consent form include any
2 language about recontact, because we've kind of started
3 including a question in our questionnaires like would
4 you -- if there's a future research study, would you agree
5 to be recontacted if you -- if we want to do some further
6 research on this study, would you agree to be recontacted.
7 And a lot of times people are very happy and interested to
8 participate. But without having that permission, it would
9 have been harder for us to get permission by the IRB to --
10 to follow up on some participants. So I'm just kind of
11 curious what the questionnaire said or what the consent
12 form says.

13 DR. WU: We do not currently have that in our
14 consent form. If you remember when we first started
15 talking about the CARE Study back when it was the
16 multi-regional study, we did think that maybe longitudinal
17 follow-up would be -- would be a part of it, that maybe we
18 would -- we would be able to write that into a consent and
19 into the study design. It didn't happen. But that is --
20 that's a good suggestion.

21 We've also thought about adding some other things
22 like can we pool your study and then, you know, just
23 expanding the informed consent to give us a little more
24 latitude with what we do with the samples or with the
25 data. So that's a good suggestion.

1 DR. ATTFIELD: We do ask of our participants if
2 they would consent to further analyses of their samples
3 down the road.

4 CHAIRPERSON SCHWARZMAN: I want to take this
5 moment to check with Cheryl if there's any public comment
6 in this section, anything that's come in on the email or
7 the website.

8 DR. HOLZMEYER: So there's -- I don't see
9 anything in the Q&A, but a while ago there was a raised
10 hand by John Gallardo I believe. I don't -- sorry. I
11 don't know that's still relevant. If so, please raise
12 your hand.

13 Okay.

14 CHAIRPERSON SCHWARZMAN: And then I'll check with
15 Stephanie about anybody in the room.

16 MS. JARMUL: No comments from the room at this
17 time.

18 CHAIRPERSON SCHWARZMAN: Okay. Thank you.

19 Then I want to just give it another moment.
20 We're -- we have another seven minutes before we have to
21 move on, so I want to give another moment to see if
22 there's any comments or feedback in this conversation,
23 this set of topics, before we move on to our next
24 presentation. So anything from the Panel on what we've
25 been talking about or something that we haven't talked

1 about yet, but with regard to these questions from the
2 Program.

3 And if not, then we will go ahead and move on.

4 Jenny, maybe you could lower your hand just to
5 keep it clean.

6 PANEL MEMBER QUINTANA: Sorry.

7 CHAIRPERSON SCHWARZMAN: And we'll move on to our
8 next presentation.

9 (Thereupon a slide presentation.)

10 CHAIRPERSON SCHWARZMAN: So for our next
11 presentation, I want to introduce Susan Hurley. She is a
12 Research Scientist in the Safer Alternatives Assessment
13 and Biomonitoring Section of OEHHA. Susan will provide an
14 update on current community biomonitoring studies and on
15 planning for future biomonitoring studies. And we'll do
16 the same thing with a presentation by Susan and then 10
17 minutes questions, and open discussion, and input after
18 that, including some questions for us as a Panel.

19 MS. HURLEY: Okay. Thank you, Meg. Can
20 everybody -- I hope everybody can hear me okay with my
21 mask on.

22 Yeah. Okay.

23 --o0o--

24 MS. HURLEY: So today I'm going to be giving an
25 update both on our current community biomonitoring studies

1 as well as laying out some of the thoughts we have for
2 planning our future studies.

3 --o0o--

4 MS. HURLEY: So I will start with our Stockton
5 Air Pollution Exposure Project, also known as SAPEP. I
6 know a lot of you have heard about this before in prior
7 SGP meetings --

8 --o0o--

9 MS. HURLEY: -- but just to remind you of what
10 the primary objectives of this study were -- or are.
11 First, it is to learn more about air pollution exposures
12 to school children in Stockton and then to evaluate the
13 effectiveness of school air filtration at reducing those
14 exposures.

15 --o0o--

16 MS. HURLEY: So the fieldwork for this study was
17 completed at the end of last year in December. It was
18 conducted at a school in Stockton over the course of two
19 consecutive weeks in early December. The sampling and the
20 fieldwork was done the Monday and Tuesday of the weeks of
21 December 6th and December 13th. And as part of that
22 fieldwork, we collected urine samples, for biomonitoring
23 as well as air quality data and survey data on exposure
24 information to help inform the interpretation of the
25 biomonitoring results.

1 --o0o--

2 MS. HURLEY: So the urine samples have now been
3 analyzed for metabolites of polycyclic aromatic
4 hydrocarbons, or PAHs, also for stable metabolites of the
5 volatile organic compounds, VOCs, and we've also measured
6 metabolites of nicotine to account for smoking exposures.

7 The samples have also been analyzed for a select
8 number of biomarkers of oxidative stress and inflammation.
9 And so right now, we are conducting the descriptive
10 analyses of the biomonitoring data in preparation for
11 preparing our results return packets to the participants
12 of the study.

13 So today, I won't be presenting any of the
14 biomonitoring results as we can't -- we can't present any
15 of the summary findings until we return the results to the
16 participants.

17 --o0o--

18 MS. HURLEY: So what I will be sharing today is
19 on some preliminary data on our -- the air quality data
20 that we collected. And we collected information on a
21 number of different pollutants. But today, I'm just going
22 to be sharing some of the results around fine particulate
23 matter or PM2.5 and the black carbon data.

24 --o0o--

25 MS. HURLEY: So information on these pollutants

1 were collected through the placement of measurement
2 devices co-located at six different sites throughout the
3 school, including two in outdoors on school grounds, and
4 then four indoors including two classrooms that we
5 installed portable standalone air filtration units in and
6 two classrooms that did not have these air filtration
7 units.

8 --o0o--

9 MS. HURLEY: So we used -- for the air
10 filtration, we used the IQAir HealthPro Plus. These IQAir
11 units are certified to filter almost a hundred percent of
12 particles greater than or larger -- I mean, larger --
13 greater than or equal to three microns in size. The
14 teachers were instructed not to turn off the IQAir
15 filtration units.

16 --o0o--

17 MS. HURLEY: And then this shows the six
18 locations of the monitoring devices. So it's got -- let
19 me see if this pointer works. The two outdoor locations
20 and then these are the four classrooms. And just note
21 that the classrooms that have the IQAir filtration are
22 classrooms 3 and then classrooms 4.

23 --o0o--

24 MS. HURLEY: The PM2.5 was measured by PurpleAir
25 monitors. These provide continuous real-time PM2.5

1 measurements by utilizing two laser particle counters,
2 which then estimate the particle mass by light scattering.
3 And the data is logged at two-minute intervals.

4 And prior to deployment, the sensors were
5 calibrated to a local federal regulatory monitor. And
6 these sensors are still at the school and continue to
7 operate and provide publicly available data on the PM2.5.

8 --o0o--

9 MS. HURLEY: The black carbon was measured by
10 aerosol black carbon detectors. These provide real-time
11 black carbon concentrations at one-second intervals and
12 it's based on an optical reading of the particles
13 collected on a glass fiber filter.

14 --o0o--

15 MS. HURLEY: So the results I'm going to be
16 sharing today, these are preliminary analyses of the PM2.5
17 and black carbon data focused only on week one. And I'm
18 only showing week one because it rained in week two. It
19 rained a lot, so it really cleaned out the air and those
20 data are likely to be much less informative than the week
21 one data.

22 I'm also restricting these analyses to the time
23 period 8 a.m. Monday through 3 p.m. on Tuesday. And
24 that's just because it takes a while to set up these
25 devices. They weren't all deployed at exactly the same

1 time, so that is the time interval during which we have
2 contemporaneous data for both PM and black carbon. And
3 then prior to analyses, the measured data were converted
4 to hourly averages.

5 --o0o--

6 MS. HURLEY: So these preliminary analyses
7 include both an evaluation of the temporal trends in these
8 two pollutants, as well as a comparison of the air
9 concentrations in classrooms with and without the IQAir
10 filtration and also in comparison to the levels measured
11 outdoors.

12 And I just want to take a moment to give a
13 shout-out and a huge thanks to McKenna Thompson, who is a
14 UC Berkeley MPH student who's been interning with us this
15 summer. And she's really the one who took the lead on
16 these analyses and created all the plots that I'll be
17 showing today. And then I'd also just like to acknowledge
18 Rebecca Sugrue who is also at UC Berkeley. She's
19 finishing up her doctoral degree. And she did a lot of
20 the processing of the data collected by the black carbon
21 monitors and she's also helped us with some of the
22 interpretation of the findings.

23 --o0o--

24 MS. HURLEY: So this first slide shows the hourly
25 averages for Monday at 8 a.m. through Tuesday 3 p.m. And

1 the gray areas show supposed to be hours of when school is
2 in session. So that will be important later on when we
3 integrate these findings with the biomonitoring data,
4 because that's when the kids will be there.

5 And, let's see, so basically you can see this is
6 just the outdoor levels and it shows higher levels in the
7 evening which is typical of the winter pattern that you
8 see in this region in the valley. And then looking
9 indoors, you see a very similar temporal pattern.
10 Although, the levels are lower than what's seen outside.
11 This is the classrooms without the IQAir filtration. And
12 then when we look at the levels in the classrooms with the
13 IQAir filtration, we generally see the lowest levels in
14 those classrooms but we do see this weird sort of high
15 blip on the first day in the afternoon. Also, we do --
16 it's worthy of noting that we see the biggest differences
17 in the overnight hours.

18 --o0o--

19 MS. HURLEY: So for black carbon, we see a really
20 similar pattern outdoors, where the levels are highest in
21 the overnight hours. We see consistently lower levels
22 indoors. This is with -- with no IQAir and then the
23 lowest levels are in the classrooms with the IQAir
24 filtration and we don't really see that same high blip in
25 black carbon that we saw with the PM2.5.

1 --o0o--

2 MS. HURLEY: So this is just another snapshot of
3 the data showing the distributions of the PM2.5 across the
4 three different locations. And it -- you can see that the
5 levels are highest outdoors and lowest in the classrooms
6 with the IQAir filtration. And the medians were
7 statistically different across these three locations.

8 --o0o--

9 MS. HURLEY: And again, we see the same -- same
10 general pattern with black carbon, where we see the
11 highest levels outdoors and the lowest levels in the
12 classrooms with the IQAir filtration.

13 --o0o--

14 MS. HURLEY: So just to summarize briefly, the
15 findings of -- you know, are -- these are preliminary
16 findings, but we do see that levels of both these
17 pollutants were higher outdoors than indoors, that the air
18 quality was improved in classrooms with IQAir filtration
19 compared to those without. PM2.5 median levels were 22
20 percent lower and black carbon were -- median levels were
21 54 percent lower in the classrooms with the IQAir
22 filtration.

23 --o0o--

24 MS. HURLEY: So for SAPEP our next steps in
25 addition to, you know, drilling down more deeply into some

1 of these air pollution air quality data is we are working
2 to prepare the packets with the kids' individual
3 biomonitoring results, so that we can distribute them to
4 parents this fall. In the fall, we also are looking to
5 give presentations at community meetings to disseminate
6 the initial study findings. And we also are working to do
7 the descriptive analyses of the biomonitoring data, so we
8 can get those data posted on the Program website. Then we
9 need to do the -- you know, a full integrated analysis of
10 the biomonitoring, the air quality, and the questionnaire
11 data to really comprehensively evaluate and address the
12 project's primary research questions. And then, you know,
13 down the road, we will be disseminating the final study
14 findings to relevant stakeholders.

15 --o0o--

16 MS. HURLEY: So the other community biomonitoring
17 study that we're currently conducting is BiomSPHERE. And
18 this is a biomonitoring study where we added biomonitoring
19 onto an existing exposure study, in this case SPHERE. And
20 SPHERE is a -- funded by the California Air Resources
21 Board, CARB. The PIs on it are Asa Bradman from UC Merced
22 and Betsy Noth from UC Berkeley.

23 --o0o--

24 MS. HURLEY: And the objective of SPHERE is to
25 assess the exposures to air pollutants and noise among 90

1 parent-child pairs living in Fresno and in Stockton. And
2 it includes household air monitoring and sampling for
3 selected criteria air pollutants, including black carbon
4 and VOCs. Also will -- also includes personal air
5 sampling for PM2.5 among the adult participants in this
6 study. And it's also including information on noise and
7 using a questionnaire to collect additional exposure
8 survey data.

9 --o0o--

10 MS. HURLEY: So BiomSPHERE then has -- under
11 BiomSPHERE all SPHERE participants will be invited to
12 provide urine samples. And those urine samples will be
13 analyzed for the same suite of chemicals that are
14 biomarkers that we're measuring in SAPEP. So it will
15 include metabolites of PAHs, VOCs, and nicotine, as well
16 as some biomarkers of oxidative stress and inflammation.
17 BiomSPHERE also -- BiomSPHERE also will support some
18 additional air sampling that will help us interpret the
19 biomonitoring results.

20 So the fieldwork for this is scheduled to begin
21 next month and will continue through next spring, so it
22 will span all seasons. And then we expect the
23 biomonitoring results to be available some time in 2024.

24 --o0o--

25 MS. HURLEY: So that's -- those are our current

1 studies. And those both -- well SAPEP and BiomSPHERE were
2 supported by one-time funding. Now, the good news since
3 we last met is with the signing of the State budget
4 earlier this month, we now have ongoing contract funding
5 to support doing more of these community biomonitoring
6 studies in communities that are heavily burdened by air
7 pollution.

8 So the State funding allocates \$350,000 a year in
9 annual contract funding, which can be used to support
10 academic and community partnerships to help conduct these
11 studies. So -- and then the funding can also be used to
12 support the measurement of analytes that Biomonitoring
13 California labs don't currently have the capacity to
14 measure.

15 --o0o--

16 MS. HURLEY: So for this fiscal year, you know,
17 we just found out we got the funding for sure, a couple
18 weeks ago. We're under a very short timeline to develop a
19 study, you know, write the contract, get it executed, so
20 we can launch it before the end of the fiscal year. So
21 we've been focusing on finding existing air pollution
22 studies that we could add biomonitoring onto, so much like
23 the approach we used in developing BiomSPHERE.

24 --o0o--

25 MS. HURLEY: So in looking for such

1 opportunities, we have been focused on identifying
2 studies -- ongoing research studies that focus on
3 underserved and heavily burdened communities, that expand
4 the Program's geographic coverage, that have community
5 engagement activities already in place, that are
6 collecting complementary air exposure and health data --
7 and/or health data -- and that offer the opportunity to
8 provide results that are actionable that can be translated
9 into avenues to reduce exposures or information that can
10 help inform that anyways.

11 So our process for identifying, you know,
12 these -- an existing research study that we can add
13 biomonitoring to has really just involved us keeping
14 our -- our eyes and our ears open and, you know, directly
15 reaching out to scientific colleagues and community based
16 organizations who have an interest in air pollution.
17 We've been reaching out to colleagues, such as folks at
18 CARB who may not be actively engaged in air pollution
19 research projects themselves, but may be aware of projects
20 that would offer good collaborative opportunities for
21 biomonitoring.

22 And we've also been having discussions at public
23 forums, such as this one, to solicit ideas for these
24 short-term planning efforts. And at our last SGP, a
25 number of you offered some ideas, and we've been following

1 up on those, as well as some others, and we think we have
2 a few -- a few good potential prospects for this fiscal
3 year and possibly the next.

4 --o0o--

5 MS. HURLEY: Now, looking further down the road,
6 we -- you know, we will continue to look for existing
7 studies that we might add biomonitoring onto, but we
8 really want to develop a little bit more of a systematic
9 long-term strategy. So we're planning to develop a
10 Request for Information, which the goal would be to
11 identify opportunities for these future biomonitoring
12 studies and our -- it's likely that we would issue this in
13 2023, so that it could help develop the studies that would
14 be supported by contract funds probably starting in 20 --
15 fiscal year 2024-25.

16 --o0o--

17 MS. HURLEY: So just thinking a little bit more
18 about the RFI, we just started having some discussions
19 about what this might look like. We have done -- the
20 Program has done prior RFIs, but that was a number of
21 years ago. About 12 years ago, we issued an RFI that was
22 aimed specifically at academic researchers who were
23 collecting or had recently collected blood or urine
24 samples from California residents. And that RFI was
25 designed to identify those studies where the Program's lab

1 could then add biomonitoring to those studies. And the
2 goals were really to -- of that RFI were to support
3 ongoing epidemiologic or exposure assessment studies by
4 enhancing their studies with biomonitoring data and also
5 to provide the Program with additional data to support its
6 goals.

7 --o0o--

8 MS. HURLEY: So now this RFI that we're talking
9 about now for our community biomonitoring studies is
10 really a little bit of a different thing here. In
11 addition to soliciting ideas from academic researchers, we
12 really want to get ideas from community leaders and
13 organizations. We also while -- you know, the primary
14 focus would be to identify projects that address air
15 pollutants of concern, I think we all recognize the
16 importance of evaluating those exposures in the context of
17 cumulative impacts of other environmental stressors. We
18 are interested in getting information on projects that
19 address other environmental concerns beyond just air
20 pollution.

21 And I think we -- well, we want to both collect
22 information or ideas that would help us design a new
23 biomonitoring study like we did with -- in developing
24 SAPEP, as well as continuing to identify studies where we
25 might just add on a biomonitoring component to an existing

1 study.

2 So as a Program, as I said, we're just in the
3 early stages of thinking about the development of the RFI.
4 And this is something, you know, we'd like if anyone in
5 the Panel -- on the Panel and in the audience has ideas of
6 what that process and the product might look like, we
7 would love to hear about it in the discussion session
8 later.

9 --o0o--

10 MS. HURLEY: So then this is -- this is just sort
11 of how we see things unfolding over the next several
12 years. I know there's a lot information on this slide,
13 but the point is to show sort of there -- there are many
14 steps involved in developing these studies and they take
15 time to plan and to execute.

16 Let me start by just walking you through how to
17 read this figure. So this column over here just goes
18 through the -- generally what the steps are involved in
19 developing these studies. And then going across are
20 the -- the fiscal year -- each column represents a new
21 fiscal year of funding.

22 So the -- just generally, the steps involved, you
23 know, first, we need to explore potential collaborations.
24 You know, in the short term we're doing that through, as I
25 said, reaching out to -- to researchers who are conducting

1 existing studies, but ultimately we're thinking we'll use
2 an RFI to do that. Then once we find out -- you know, get
3 a sense of some good opportunities, then we need to choose
4 the project that we're going to move forward with. And
5 then a lot of the work comes next in this development
6 phase where we need to figure out all the sampling scheme,
7 the fieldwork protocols, develop IRB protocols, and write
8 the contract, and get it executed and -- but by the end of
9 the fiscal year so we can initiate the fieldwork.

10 So for this -- the -- for last fiscal year, this
11 is -- this is BiomSPHERE. And we now have the first three
12 steps all done and we are about to initiate the fieldwork
13 next month. And then we expect that study to be done in
14 June of 2024.

15 Then for the fiscal year that we just began, as I
16 said, we're in the progress -- in progress for exploring
17 potential collaborations. We're hoping to identify a
18 project partnership later this summer. And then we'll
19 spend the fall developing the study protocol and all the
20 things that go along with it, as well as the contract, so
21 that we can get out in the field next spring. And then
22 that study would finish in June 2025.

23 And then for the following year, fiscal year
24 23-24, we'd probably continue to employ our short-term
25 strategy of finding existing studies to add a

1 all attendees.

2 Carl.

3 PANEL MEMBER CRANOR: Yes. Thank you. I think
4 the -- it seems to me the study you're doing is terribly
5 important. At least some of the things I've read suggest
6 that the Central Valley is one of the worst places for air
7 pollution around.

8 I'm wondering to what extent do you have an
9 understanding of the general health -- adverse health
10 effects from air pollution before you start your study -
11 that's question one - for both children -- you're looking
12 at children, but maybe you have some idea about adults.
13 It turns out it looks like air pollution is a -- a
14 universal contributor to several different disease
15 endpoints. And gee, it would be great as a result of your
16 work to identify, you know, some of these adverse effects.
17 I was struck that you're going to be considering heavily
18 burdened groups.

19 And that raises a question who are you studying
20 now? The students are from what kinds of socioeconomic
21 groups? Are they heavily burdened or not or, you know,
22 are they -- are they well-off people from Stockton or are
23 they burdened people from Stockton or whatever?

24 Anyway, that's a collection of questions I think
25 that your study raises. And I would be interested in any

1 answers you can give. Maybe not on your -- not down your
2 pipeline exactly, but I think it's very -- potentially
3 very interesting study.

4 MS. HURLEY: Yes. So thanks for those questions.
5 I think to answer your first question about health, yes,
6 you're right, the valley is very heavily burdened by air
7 pollution and they also rank -- you know, Cal -- by
8 CalEnviroScreen, they have some of the highest asthma
9 rates. I think it's the top five percent. A number of
10 the health indicators in CalEnviroScreen have indicated a
11 very disproportionate burden of health -- adverse health
12 in the community.

13 Now, our study is, you may recall, the actual
14 participants, we only have 18 kids in our study. We're
15 not going to be able to look --

16 PANEL MEMBER CRANOR: Sure.

17 MS. HURLEY -- at the health effects, you know,
18 within our study, but we will be able to -- you know,
19 we'll be able -- hopefully, we will be able to show the
20 degree to which air -- school air filtration may help
21 protect them from, you know, the air pollutants or not --
22 I shouldn't say protect them, protect them from -- lower
23 their exposures.

24 PANEL MEMBER CRANOR: Yeah.

25 MS. HURLEY: And then in terms of who's in our

1 study, the -- we do have information on their
2 socioeconomics. I don't have the numbers off the top of
3 my head, but I -- it's heavily burdened. I mean, it's a
4 disadvantaged community. I do recall the principal saying
5 that it was -- the majority of kids qualified for school
6 lunches. It's -- primarily, it's -- I think it's about
7 half Hispanic. And -- yeah, so these are -- despite it
8 being -- it is a parochial school. It is not like a prep
9 school. You know, it's --

10 PANEL MEMBER CRANOR: Uh-huh.

11 MS. HURLEY: -- it is designed to reach kids who
12 are disadvantaged. Yeah. Did I -- did I hit all -- did I
13 both your questions.

14 PANEL MEMBER CRANOR: You hit some of them. I
15 have few -- I have a couple more.

16 (Laughter)

17 MS. HURLEY: Okay.

18 PANEL MEMBER CRANOR: Asthma would be something
19 that would show up with children, but it turns out -- and
20 I know this is outside your pay grade, outside -- outside
21 California's pay grade perhaps. But air pollution has
22 a very -- quite adverse effects apparently, of course, on
23 lung diseases, cardiovascular disease, diabetes, strokes.
24 And if you could find somebody to pair with you, it might
25 be worth checking with adults and see -- you know, see

1 what the -- any connections there. I know that's outside
2 what you're doing. But it -- at least I'm learning
3 naively air pollution is a nasty substance.

4 MS. HURLEY: Yeah. Yeah. And I think, you know,
5 one of the things that our study can also provide is, you
6 know, clearly we can't look at health outcomes directly in
7 our study, but we are -- you know, we left those PurpleAir
8 monitors behind, and so those are going to continue to
9 provide more detailed data about the exposure levels in
10 this community. And there's only one regulatory monitor
11 that -- in the area. And, you know, previous research has
12 shown the importance of these hyperlocal exposures that
13 aren't necessarily captured by that -- by that -- those
14 monitoring data. So, you know, we're -- we're
15 contributing little pieces to the puzzle, I guess.

16 PANEL MEMBER CRANOR: Sure. Sure. One more
17 quick question, if I might. I think there's a Harvard
18 study or people connected to Harvard that suggest that the
19 current EPA standard is maybe not woefully, but
20 substantially inadequate. And I'm wondering what your
21 seeing in terms of the general monitoring of the community
22 and what the concentration of air pollutants is? It's a
23 good thing your filters work.

24 MS. HURLEY: Yeah.

25 PANEL MEMBER CRANOR: And I'm wondering, I guess,

1 if you pull the exposures down to the extent the filters
2 will, how well off are the kids in the classrooms for
3 example? How well off could people be made in the
4 community, if they had analogous filters?

5 MS. HURLEY: Right. Yeah. I can tell you that
6 during our study, the levels of PM2.5 were below the
7 federal regulatory standard. I think not much lower, but
8 a little lower. But typically in this area, they -- they
9 have quite a few exceedances of the PM2.5 level. And I
10 don't think -- I -- I don't know. I don't think there is
11 any -- and someone on the call might know, but whether
12 there are any recommended levels for indoor exposures.

13 PANEL MEMBER CRANOR: Um-hmm.

14 MS. HURLEY: I don't think that there are, but I
15 think there might be a movement to develop those. But,
16 yeah, good points.

17 CHAIRPERSON SCHWARZMAN: Thank you.

18 PANEL MEMBER CRANOR: Thank you for answering the
19 panoply.

20 CHAIRPERSON SCHWARZMAN: Jenny.

21 PANEL MEMBER QUINTANA: Just a couple
22 suggestions. A minor suggestion I'm sure has already
23 occurred to you is that black carbon presumably has only
24 outdoor sources, whereas PM2.5 has outdoor and indoor
25 sources. You could ask the teacher what they were doing

1 at 3 p.m., jumping around doing the hokey pokey or
2 something to make that thing rise.

3 (Laughter)

4 MS. HURLEY: Yeah.

5 PANEL MEMBER QUINTANA: But -- so I think that,
6 you know, it's really encouraging that the black carbon,
7 you know, is reduced so much. And did you leave the air
8 filtration devices in place?

9 MS. HURLEY: At the school, you mean afterwards?

10 PANEL MEMBER QUINTANA: At the school afterwards.

11 MS. HURLEY: Yes, we did. We did.

12 PANEL MEMBER QUINTANA: Okay. So then you'll
13 have continuing data on the PM on the PurpleAirs right?

14 MS. HURLEY: Yes. Yeah.

15 PANEL MEMBER QUINTANA: Okay.

16 MR. HURLEY: And we are actually intending on
17 looking at those data, yeah.

18 PANEL MEMBER QUINTANA: Um-hmm. And in terms of
19 contacting researchers, two suggestions. One is there
20 might be researchers doing not directly doing air
21 pollution studies, but, you know, in our School of Public
22 Health, there's a lot of people doing activity health
23 promotion people, increasing activity in the community and
24 they have lots of people wearing monitors and they show
25 exactly where they went, you know, and taking biological

1 samples from them.

2 And, you know, for many pollutants, you can have
3 these estimates from near-road exposure, et cetera, which
4 are pretty good based on location --

5 MS. HURLEY: Um-hmm.

6 PANEL MEMBER QUINTANA: -- and this model is for
7 a lot of communities.

8 So there's this kind of -- and they have a lot of
9 these biological samples that they take often to look at,
10 you know, direct health benefits. So that's one
11 suggestion. And the other one, I was just trying to
12 figure out how to take advantage of this natural
13 experiment of COVID and increased air filtration in a lot
14 of schools and stuff like that. I'm not sure if anybody
15 had taken any samples, you know, before and maybe
16 encourage them to take them after these -- you know, this
17 increased filtration that was put in place in many of the
18 schools for COVID reasons, so...

19 CHAIRPERSON SCHWARZMAN: Maybe we could pin this,
20 just because we have a longer discussion time following --

21 PANEL MEMBER QUINTANA: Oh, sorry.

22 CHAIRPERSON SCHWARZMAN: -- question and answer.
23 But I think those are two great things that we could just
24 put -- will you remember them, Jenny, for a larger
25 discussion?

1 PANEL MEMBER QUINTANA: (Nods head).

2 CHAIRPERSON SCHWARZMAN: Thank you. And then
3 Ulrike for questions

4 PANEL MEMBER LUDERER: Well, one of my questions
5 was already asked by Jenny, which is whether the IQAir
6 filters were left with the -- the school.

7 The other question I had kind of related to
8 that -- I don't know. Maybe I'm misunderstood it, but it
9 looked to me -- and I think you said that the biggest
10 differences between the outdoor I think it was both the
11 carbon black and the PM2.5 between the classrooms that had
12 no IQAir filtration and those that did was overnight. So
13 I was just wondering so were they leaving them on
14 overnight or, you know -- or did I misunderstand what you
15 said?

16 MS. HURLEY: No. That is what I said, yeah. And
17 they were instructed to leave them on overnight. And, you
18 know, we're not sure exactly why we see the biggest
19 differences there, but a likely explanation is that the
20 doors are definitely closed overnight. So that's when
21 you -- we would see the biggest -- and windows. The
22 windows were never opened anyways. But, you know, during
23 the day, the doors were often propped open because of
24 COVID. But at night, when the doors are closed, we're
25 thinking we can see a bigger difference in the air

1 filtration.

2 PANEL MEMBER LUDERER: Thank you.

3 CHAIRPERSON SCHWARZMAN: Thanks.

4 Tom.

5 PANEL MEMBER MCKONE: Unmute. I had to find the
6 unmute button.

7 So again, I guess just a clarification. So the
8 PurpleAirs were indoors and outdoors, correct?

9 MS. HURLEY: Yes.

10 PANEL MEMBER MCKONE: And so to characterize the
11 exposure, I guess most of the time was indoors and you
12 don't know a lot about their home environment, other than
13 it might be related to outdoors. I mean, so in terms of
14 total exposure time, we just basically get the school
15 time.

16 I mean, a comment is I have -- I have a PurpleAir
17 indoors and outdoors and they are quite different even in
18 an area with relatively clean air. We get much different
19 readings indoors and outdoors. But one of the issues with
20 the PurpleAir is you can't really -- at least the ones I
21 have, you don't really turn them on or off. I mean,
22 they're either plugged in or not plugged in. And you
23 don't want people to plug them in and then unplug them and
24 forget to plug them back in.

25 MS. HURLEY: Right.

1 PANEL MEMBER MCKONE: So they're very difficult
2 to use that way.

3 My other question is so PurpleAir, there was a
4 study at Lawrence Berkeley Lab looking at these different
5 like \$250, \$300 PM monitors compared to the \$10,000 really
6 first class monitors that EPA uses, but can't afford very
7 many. And it's very -- I don't know if you took this into
8 consideration or thought about it. One of the things that
9 was interesting about that study is it -- that actually
10 the PurpleAir did really well in terms of being centered,
11 but it had a lot of spread. So one thing to be aware of
12 is that it has -- it is -- it has -- it has a lot of
13 spread around the center line, but at the least the center
14 line of the data is in the right place compared to a gold
15 standard. But it also means that, you know, we are --
16 you're measuring -- it's a fuzzy measurement in some ways.
17 And I don't know if you've been able to take that into
18 consideration.

19 But again kudos. I mean, you know, if it weren't
20 for PurpleAir, you couldn't do these studies where you get
21 so many monitors and use them, because they're relatively
22 inexpensive compared to the standard air quality
23 monitoring devices.

24 MS. HURLEY: Yeah. Thanks. Thanks for both
25 those points, Tom. I think one thing that I -- is

1 important to mention, which I just made passing mention of
2 in my presentation is that these PurpleAir monitors aren't
3 just like the ones that a consumer buy -- well, they start
4 out as one just like a consumer buys, but then we had
5 them -- before we deployed them, we had them calibrated to
6 a stationary -- you know, one of the stationary air
7 monitors, and so that takes into -- it adjusts for
8 meteorologic or environmental factors, like both
9 temperature and relative humidity.

10 PANEL MEMBER MCKONE: Um-hmm.

11 MR. HURLEY: And once they're calibrated, they're
12 in very good agreement with the stationary monitoring
13 devices. So they're a little more accurate than what you
14 might just -- the average customer might get.

15 PANEL MEMBER MCKONE: Well, that's a good choice,
16 because they actually come with a calibration routine. I
17 mean, you can actually re -- in the PurpleAir, those --

18 MS. HURLEY: Oh, I didn't know that consumers
19 could do that.

20 PANEL MEMBER MCKONE: Oh, there's -- it actually
21 has a built-in adjustment, which is the standard
22 adjustment from a number of studies. But the trouble with
23 that is is it's not site specific. So the fact that you
24 use the site specific calibration actually --

25 MS. HURLEY: Okay.

1 PANEL MEMBER MCKONE: -- is a really good idea
2 and that's a really strong point --

3 MS. HURLEY: Yeah.

4 PANEL MEMBER MCKONE: -- of what you did.

5 MS. HURLEY: And then one of the other things I
6 just want to stress in some of the data I showed, you
7 know, with the -- the plots. These are just sort of
8 preliminary quick snapshots of the data. We really
9 haven't taken into consideration the variability in the
10 measurements and -- and whether or not these differences
11 we're seeing are really significant or is it just sort of
12 noise in the data. And so those will be some of the
13 things we look at next.

14 PANEL MEMBER MCKONE: I mean, one -- just one
15 final comment. I watched PurpleAir in my neighborhood.
16 And there are hot spots. Some of these -- some people
17 must be near like a -- the vent from a restaurant or
18 something, because everyone will be likely really low and
19 then there will be one monitor that will be -- you know,
20 and I don't think it's a calibration problem. I think
21 it's actually near a source --

22 MS. HURLEY: Um-hmm.

23 PANEL MEMBER MCKONE: -- that's very strong,
24 because there are like -- there are some of the
25 monitors -- outdoor monitors -- now, indoor monitors,

1 that's a totally different story. And you can watch those
2 and see when people are cooking greasy food, because, you
3 know, the outdoor air quality will be five and the indoor
4 air quality will be 300. But I don't think that was an
5 issue. I don't think you had a lot of hot spot indoor,
6 because you weren't -- they weren't doing cooking, or
7 burning candles, or anything like that, that would drive
8 the monitors off scale, or way high.

9 MS. HURLEY: Yeah.

10 CHAIRPERSON SCHWARZMAN: Okay. Thank you so much
11 for that presentation. And we now have our -- the longer
12 stretch here for more discussion. And maybe what we could
13 do is first return to Jenny's discussion points and
14 then -- and we'll go from there.

15 PANEL MEMBER QUINTANA: So I was just -- sorry.
16 Did you want me to talk now?

17 MS. HURLEY: Yes, please. I wasn't sure if I was
18 supposed to remember what your discussion points were or
19 if you were going to bring them up again.

20 (Laughter)

21 PANEL MEMBER QUINTANA: It's pretty tough.

22 MS. HURLEY: Yeah.

23 (Laughter)

24 PANEL MEMBER QUINTANA: No, I was just -- I was
25 just suggesting perhaps spreading the word about air

1 pollution measurements to faculty who do studies of
2 physical activity for example and have very detailed --
3 people wearing monitors where they know they are every
4 second of the day and they've mapped their location and
5 they have -- can overlay an air pollution map pretty
6 easily to that data. And they often have samples they've
7 collected. I was just suggesting that and I can ask
8 people I know too, because some of those are the same
9 communities that had applied for AB 617 money back when,
10 even though they weren't designated.

11 And my other point was just --

12 MS. HURLEY: Yes, I --

13 PANEL MEMBER QUINTANA: Yes. Sorry.

14 MS. HURLEY: Oh, I was just going to say I think
15 that also speaks a little bit to our -- the development of
16 our RFI and that we don't want to just get information
17 about air pollution studies, but other studies that could
18 be then adapted to look at air pollutant exposures. I
19 think the kinds of studies you just mentioned is a great
20 example of that to make sure that we capture those
21 somehow.

22 PANEL MEMBER QUINTANA: Well, I've also had kind
23 of a long-running battle with our health promotion faculty
24 that they're always promoting exercise, like go outside
25 and run around. And I was like, well, maybe they're

1 better off watching TV if they live right next to the 5 at
2 the border. You know, I mean --

3 (Laughter)

4 PANEL MEMBER QUINTANA: I mean, really you have
5 to think about these and some of these issues about where
6 it's safe exercise, which is a really important thing for
7 the community members could also be an issue. And I only
8 want to kind of emphasize, I think it would be really nice
9 to encourage intervention studies where there's an actual
10 solution built in to the measurement, kind of like the
11 study we just saw. I think that's really important for
12 communities. So whether it's safer places to exercise,
13 safer times of day, or if there's some kind of piece that
14 could help give direct advice to the communities, I think
15 that would be really good.

16 And my other comment wasn't super helpful,
17 because it didn't have any actually concrete suggestions,
18 but I was just thinking it would be nice if we could take
19 advantage of this natural experiment that we have of this
20 increased ventilation from COVID-related in schools, and
21 if there's anybody that did before or after. I can hear
22 somebody whispering. Sorry.

23 MS. HURLEY: Oh, yeah. To my knowledge, there is
24 not -- I don't know of any study where they've done sort
25 of before and after COVID. I would love to -- I think

1 that would be super valuable too, but I don't know of any.

2 PANEL MEMBER QUINTANA: Um-hmm. Thank you.

3 CHAIRPERSON SCHWARZMAN: Tom, are you raising
4 your hand to add into that?

5 PANEL MEMBER MCKONE: Yeah.

6 CHAIRPERSON SCHWARZMAN: Yeah.

7 PANEL MEMBER MCKONE: I raised my hand again with
8 another follow-up.

9 CHAIRPERSON SCHWARZMAN: Please.

10 PANEL MEMBER QUINTANA: So the monitors are
11 staying in place, right?

12 MS. HURLEY: Yes.

13 PANEL MEMBER MCKONE: And the -- how about the
14 indoor IAQ filtering systems?

15 MS. HURLEY: Yes, they are staying in place as
16 well.

17 PANEL MEMBER MCKONE: One of the things that you
18 might want to look for -- unfortunately, it's likely to
19 happen -- is a fire -- wildfire.

20 MS. HURLEY: Yeah.

21 PANEL MEMBER MCKONE: I mean, again I did this
22 personally, but it's not publishable, but I think you
23 might collect enough data to show the benefits of cleaning
24 indoor air during fires. We saw -- I mean, in our
25 house -- in all -- we just had a MERV -- MERV 13 filter on

1 our furnace and we ran it, and we got enormous benefit
2 during one of the fire seasons. You know, the difference
3 that you could see in the PurpleAir between indoor and
4 outdoor a remarkable benefit. And I think the advantage
5 of doing this is to really have the information and even
6 be able to back it up maybe with some biomonitoring, put
7 probably that's a reach.

8 But this -- the whole idea of showing the
9 benefits of using indoor -- air cleaning indoors, it
10 really can make -- if it's done right, it makes a big
11 difference and how to do it, you know, how to run the
12 filters during a -- wildfire events. And even like some
13 community outreach to convince people to clean -- and you
14 don't have to spend a lot of money, there are actually
15 cheap solutions for cleaning indoor air, even with a fan
16 and a -- you know, the -- again my colleagues at Lawrence
17 Berkeley Lab came up with a very effective indoor air
18 filter where you just go buy a MERV 13 filter, duct tape
19 it onto a fan and run it and you get real benefits. So
20 you've got the opportunity to show the benefits of air
21 cleaning during wildfires. And again, you don't have to
22 do anything other than wait for a wildfire and then look
23 at the data that you're collecting.

24 MS. HURLEY: Yeah. Yeah. That's a -- that's a
25 really good idea. You know, we -- while we left the air

1 filtration units behind, we don't know the degree to which
2 the school is using them. I'm -- but I'm sure that during
3 a wildfire episode, they would be very motivated to use
4 them. And we're continuing to stay in contact with the
5 school. And, you know, the PurpleAir data is just
6 continuous, so we can, you know, grab that any time we
7 want. But I think this is -- that's a great idea and we
8 could, even if we, you know, see a wildfire episode
9 developing down there, we can reach out to the school and
10 say, hey, make sure you've got those, you know, going.
11 And then we could -- we could do a really nice little
12 analysis to evaluate their effectiveness. So thanks for
13 that.

14 PANEL MEMBER MCKONE: Okay.

15 CHAIRPERSON SCHWARZMAN: Other points of
16 discussion on this. The -- we could -- Susan you might
17 want to put up your slide that have sort of further
18 prompting discussion questions for more input on this
19 topic about thinking about these sort of short turnaround
20 studies on it -- on an annual basis and input on how you
21 might solicit those projects in a more systematic way.

22 MS. HURLEY: So this one I guess is what -- is
23 this what you're thinking?

24 So, yeah, as I think I said, we're just starting
25 discussions within the Program about how we might develop

1 an RFI to -- to you know, develop kind of a long-term
2 strategy for soliciting ideas for these studies. We're
3 not sure whether or not we would do one RFI, one to
4 academic researchers versus a different one to community
5 organizations. I think it -- you know, we still need to
6 work that through.

7 So some of our -- our questions are, you know,
8 what -- what types of information should we collect to
9 help evaluate both the feasibility of these projects as
10 well as the potential impact? And then just generally
11 what should the process look like? You know, is it a
12 one-time process? Do we have it just sort of continuously
13 open and then we have a certain time each year, where we
14 go in and look at the ideas or do we reissue it every few
15 years?

16 And then the other thing is, you know, this
17 isn't -- we're not seeing this -- this isn't like an RFP
18 where there's a formal application and a formal scoring
19 system and then we choose the one that got, you know, the
20 highest score or the few that had the highest score. So I
21 think we need to think about after we get this
22 information, what -- what should the follow-up process
23 look like and how do we convey and set expectations to
24 those who submit ideas.

25 So these are just discussions we're starting to

1 have and we'd love to hear if anyone has thoughts on any
2 of these issues.

3 CHAIRPERSON SCHWARZMAN: Thank you. I think
4 Jenny had a question that is maybe relevant to this in
5 thinking about subsequent studies, Jenny, about location
6 of the intervention.

7 PANEL MEMBER QUINTANA: I just had a quick
8 question that -- following up on the previous comment
9 about air filtration, because there are studies on
10 interventions going on other places, you know, so
11 wildfires and filter study. I think there's one going on
12 in the state of Washington by the School of Public Health
13 at the University of Washington. And so I'm assuming
14 samples have to be from California residents, but it
15 occurred to me I didn't know if that -- if that was true
16 or not, if it was a very interesting question to
17 California residents. So that was one question.

18 And the second just comment was perhaps you
19 should loop in community organi -- some kind of community
20 review of the projects to, like for example, the AB 617
21 Community Steering Committee or Community Advisory
22 Committee, whatever it's called, that's statewide could
23 perhaps kind of give feedback on to what they thought was
24 the most interesting or something like that, as well as --
25 as well as just you guys reviewing it.

1 Sorry about my dog.

2 (Laughter)

3 MS. HURLEY: So to answer your first question,
4 yeah, these do have to be conducted in California. And,
5 yeah, so I think -- regarding your second comment, are
6 you -- I think -- just I want to make sure I understand
7 your -- what you're suggesting is in evaluating the ideas,
8 we should make it a broader process and not just involve
9 Program staff, but others, you know, community -- or CSC
10 member -- or CSC AB 617 -- people who are involved in AB
11 617 and others, is that --

12 PANEL MEMBER QUINTANA: It was just an idea. I
13 was just thinking that -- again, the Tobacco-Related
14 Disease Research Program I was thinking about, because I
15 just submitted a grant, but they -- they went to having
16 community reviewers, as well as kind of academic reviewers
17 to give feedback on not so much the science, but whether
18 this was important to do or not and I just -- maybe a
19 similar model or something like that.

20 MS. HURLEY: Yeah, that's a good idea. I like
21 that.

22 CHAIRPERSON SCHWARZMAN: I appreciate that point
23 about community review and it connects I think -- we've
24 talked a lot on this Panel and the Program has thought a
25 lot about the value of intervention studies. And I think

1 those are often also really appreciated by communities for
2 the benefit of taking action at the same time as, you
3 know, not only continuing to be studied, but a study that
4 includes measuring the effect of an action -- I think are
5 often very well received.

6 We don't have to limit our discussion to this RFI
7 process either. So anything -- I wanted to -- to raise
8 these questions, so that Susan would get the input that
9 the Program is requesting, but we can talk about anything.

10 Lara.

11 PANEL MEMBER CUSHING: Thank you.

12 I wanted to echo the suggestion for community
13 review. I think that's a great idea. It might be
14 challenging on this sort of one-year timeline that you
15 laid out to, you know, just build in time for that.

16 And then Meg's comment about interventions. I
17 think another area of -- that might be good to focus is
18 like projects that can inform policy, and to reduce
19 exposures, and like act as policy processes and debates.
20 Earlier it was mentioned that you are collaborating with
21 the Water Board, I think it was, to look at biomonitoring
22 of PFAS in relation to drinking water samples of PFAS in
23 the context of developing, you know, regulatory standards
24 for PFAS. So that's like a great example of -- and I
25 think for communities, that's also an important

1 consideration is, again as Meg said, like not only
2 documenting problems, but also informing efforts to reduce
3 exposure and interventions as part of that. And policy is
4 part of that too.

5 So I just want to put in a plug for that. Oh,
6 and then I had a very quick comment about the RFI process
7 is that, in my opinion, having a deadline will get you
8 more submissions than having an open continuous process --

9 (Laughter)

10 PANEL MEMBER CUSHING: -- just because it makes,
11 you know, people turn something in.

12 MS. HURLEY: Yeah.

13 PANEL MEMBER CUSHING: And so you might think
14 about that.

15 MS. HURLEY: Excellent point. Thank you for both
16 those comments.

17 CHAIRPERSON SCHWARZMAN: Maybe I'll check -- take
18 this natural pause. Ulrike, I see you. I'll -- since I
19 started calling for the comment, let me just check, and
20 I'll get you next -- just to check if we have anything
21 that came in on the email to the OEHHA or if there's
22 anything in the room, Stephanie, questions or comments
23 that we should get in here.

24 MS. JARMUL: No comments from the room. Thank
25 you.

1 DR. HOLZMEYER: I don't -- I don't think anything
2 new has come in.

3 CHAIRPERSON SCHWARZMAN: Okay. Great. Thanks.
4 Ulrike.

5 PANEL MEMBER LUDERER: Yeah. I just wanted to --
6 to just address what you -- you know, in your topic for
7 discussion, whether it should be open, you know, to both
8 community organizations and academic researchers or
9 separate RFIs. I mean, I think it -- you know, one of the
10 strengths of a lot of the studies of Biomonitoring
11 California, you know, have had is, you know, working --
12 having partnerships between community organizations and,
13 you know, Biomonitoring California, or in this case if
14 you're having an RFI, you know, to look for ongoing
15 collaborations where you already have, you know, the
16 community organizations maybe working with academic
17 researchers. So I wouldn't necessarily separate the two
18 is what I'm saying.

19 MS. HURLEY: Yeah.

20 CHAIRPERSON SCHWARZMAN: Susan, do you want to
21 put the other questions up just so we get a moment to look
22 at those, before we conclude the discussion.

23 And then I think, Jenny, did you have a question
24 or a comment.

25 MS. JARMUL: Meg, Martha Sandy also has a

1 comment --

2 CHAIRPERSON SCHWARZMAN: Okay.

3 MS. JARMUL: -- in the room.

4 DR. SANDY: Sorry. This is Martha Sandy of
5 OEHHA. I just wanted to follow up on Susan's response to
6 Ulrike. I think what -- we're hoping that our projects
7 are collaborations between communities and academic
8 researchers. And, I mean, that's what we've been doing in
9 the past as we -- what we hope to do. But we're wondering
10 if we want to get an RF -- put out an RFI to community
11 groups and hear from communities what they're worried
12 about. We could then, if we chose to act on some of that
13 information, work with the community group and find
14 academic partners to help us do the study. I just wanted
15 to say it's not either/or. It's like -- but do we frame
16 an RFI that a community organization or communities would
17 be more likely to give us input -- we're worried about
18 this kind of air pollution and these effects we have in
19 this environment, you know, something like that and then
20 hear from academicians who have ongoing ideas of proposals
21 of certain studies and interventions. And either type of
22 response we could -- we would put together the communities
23 and the academic partners.

24 Thank you.

25 PANEL MEMBER LUDERER: Thanks for the

1 clarification.

2 CHAIRPERSON SCHWARZMAN: Thanks, Martha.

3 Jenny.

4 PANEL MEMBER QUINTANA: I guess one thing I'm not
5 clear about, but were you -- was this only an RFI for
6 basically getting samples mailed to you, you know, or is
7 there money for the community groups to, you know, have a
8 partner with a clinic and collect urine samples, and ship
9 the samples on dry ice or what -- I think you should be
10 clear about what kind of money is available beyond
11 offering free analysis.

12 They basically -- you know, how much would be
13 available or is this something that community members
14 could kind of get together and provide urine samples, for
15 example, close to the agricultural field and far from the
16 agricultural field or would -- you know, I'm just thinking
17 about like how much re -- how many resources there are to
18 obtain samples versus get already obtained samples to make
19 it clear in the RF -- in the process I guess.

20 MS. HURLEY: Yeah. Well, just -- just to clarify
21 here -- because yeah, I would agree that would all have to
22 be very clear when we're issuing the RFI, but the --
23 there's \$350,000 each year allocated to this. And so we
24 can use that in a variety of ways, but we can certainly
25 use it as we did with SAPEP to go out -- you know, work

1 with the community group, identify a site where we can do
2 the study. And our community partner helped us identify
3 the school and get us into the school. And then collect
4 the samples, design the questionnaire, we did that all in
5 collaboration with the community partner.

6 And there is the ability to put -- to -- for some
7 of the money to go to the community organization. It
8 can't all go. There's a cap on that, but we do have the
9 ability to support community partners in actively being
10 engaged in the study. So this wouldn't just be like
11 BiomSPHERE or like the prior RFIs that we've done through
12 the Program where we're just looking for samples. I mean,
13 we really can -- and -- but the -- and -- and we want to
14 be doing that in the future. We want to be doing more of
15 that. And we're hopping the RFI will lead us in that
16 direction.

17 PANEL MEMBER QUINTANA: That's great.

18 CHAIRPERSON SCHWARZMAN: Susan, do you want to
19 put up the other questions that you had in case that
20 sparks some -- we're almost -- we're almost to public
21 comment period time, but just if there's any last
22 thoughts.

23 MS. HURLEY: Yeah. We already touched on some of
24 this in the prior discussion after Kathleen's talk, but,
25 you know, we're just thinking, you know, the Program has

1 done -- well, so with our community biomonitoring studies,
2 we're just now working on the results return for SAPEP.
3 And as part of that, we will be having community meetings
4 to share the findings -- you know, after we return the
5 results to participants, we'll be having community
6 meetings to share the overall study findings with the
7 community where we did the study, but we really want to
8 start thinking more about then how do we disseminate the
9 information further, so it can be useful to other
10 communities that are similarly burdened, to other
11 communities that, you know, may be interested in using the
12 same kind of air filtration.

13 So we're just wondering if people have ideas on
14 how we might provide information that's -- will expand its
15 dissemination to other communities that can use it and
16 what should that information look like? You know, how --
17 what's the best way to get that out? And, you know, I
18 think Tom mentioned the use of -- I think it was Tom --
19 social media earlier. And, you know, I think that's --
20 it's uncharted waters for us and it has a lot of potential
21 pitfalls, but it has a lot of -- a lot of potential also.
22 So that's, you know, one idea.

23 But I guess just kind of -- if anyone has any
24 ideas of how we can make sure that our study findings
25 aren't just used in the -- you know, the small community

1 where we're working, and that it can have -- how we can
2 maximize the impact.

3 PANEL MEMBER QUINTANA: I lowered and raised my
4 hand, Meg, just so you know.

5 CHAIRPERSON SCHWARZMAN: Thank you.
6 Jenny, please go ahead.

7 PANEL MEMBER QUINTANA: I just was thinking that
8 since AB 617 really hugely increased the engagement of the
9 local air districts, and they often -- they usually have
10 Twitter and all kinds of stuff going on, it's possible --
11 perhaps, if it's air-related, they could -- you could give
12 it to the air districts and they could disseminate it
13 through their dissemination community outreach people
14 would be one point.

15 MS. HURLEY: Good idea.

16 CHAIRPERSON SCHWARZMAN: Put out a last call for
17 comments, because then it's time for us to turn to the
18 public comment period.

19 So hearing none, thank you so much, Susan, for
20 this presentation. It's great to hear about these results
21 and really look forward to seeing the process evolve.

22 MS. HURLEY: Thank you.

23 CHAIRPERSON SCHWARZMAN: So we have 20 minutes in
24 the agenda that are allotted for the open -- open public
25 comment period. And commenters during this time are --

1 can -- are welcome to provide comment on any topic related
2 to Biomonitoring California, not just the topics that
3 we've been discussing today.

4 So if you're attending the webinar, you can
5 submit written comments and questions through the Q&A
6 function of Zoom or by emailing biomonitoring@oehha.ca.gov
7 or you can speak by using the raise hand feature and I can
8 call on you. And if you're in person and you wish to
9 comment, you can come to the podium in the room or raise
10 your hand and Stephanie Jarmul will make sure that you are
11 heard there.

12 So let me check in with Cheryl about any -- I
13 don't see any raised hands on the webinar and Cheryl can
14 tell me if there's anything by email.

15 DR. HOLZMEYER: No. I think nothing new has come
16 in. Thank you.

17 CHAIRPERSON SCHWARZMAN: And we can raise -- we
18 can leave a few moments here in case people were not --
19 hadn't -- hadn't already managed to put in a request or a
20 comment. This is the last item on the agenda, so we -- I
21 can leave a minute or two.

22 And then in -- on-site in Oakland, Stephanie, is
23 there any comments we should tend to?

24 MS. JARMUL: No comments from the room.

25 Thank you.

1 CHAIRPERSON SCHWARZMAN: Okay. Jenny, did you
2 have something to add?

3 PANEL MEMBER QUINTANA: I had a public comment, I
4 guess, that I wanted to just -- we had a lot of discussion
5 about communities and disadvantaged communities for
6 biomonitoring. And I wanted to just remind all of us that
7 we had talked about occupational groups as being also an
8 important group to monitor. And I'm thinking of actually
9 exposed to pesticides and other things, I think that --
10 that I'd like to just raise the importance of occupational
11 exposures, you know, to this future work as well.

12 CHAIRPERSON SCHWARZMAN: Thank you for that.

13 And, Cheryl, if there's nothing else that has
14 come in online, I just wanted leave a moment in case
15 someone hadn't had a chance to submit a comment. Then let
16 me just check in and make sure there's nothing else.

17 DR. HOLZMEYER: There's nothing else. Thank you.

18 CHAIRPERSON SCHWARZMAN: Okay. In that case, we
19 can wrap up and adjourn just a few minutes early.

20 A couple of announcements before we adjourn. A
21 transcript of the meeting as usual will be posted on the
22 Biomonitoring California website when it's available. The
23 next Scientific Guidance Panel meeting will be on November
24 18th, 2022 from 1 to 4 p.m. And there will be more
25 options available about attending that meeting and that

1 information will be made closer to the meeting.

2 So I want to thank the staff who organized this
3 meeting, and particularly to Kathleen and Susan for your
4 presentations. It's really helpful to hear progress and
5 inspiring. And thank you to the Panel and everyone else
6 who participated in the meeting.

7 And with that, I'll adjourn the meeting until
8 November. Thank you.

9 (Thereupon the California Environmental
10 Contaminant Biomonitoring Program, Scientific
11 Guidance Panel meeting adjourned at 3:14 p.m.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I, JAMES F. PETERS, a Certified Shorthand Reporter of the State of California, do hereby certify:

That I am a disinterested person herein; that the foregoing California Environmental Contaminant Biomonitoring Program Scientific Guidance Panel meeting was reported in shorthand by me, James F. Peters, a Certified Shorthand Reporter of the State of California, and thereafter transcribed under my direction, by computer-assisted transcription.

I further certify that I am not of counsel or attorney for any of the parties to said meeting nor in any way interested in the outcome of said meeting.

IN WITNESS WHEREOF, I have hereunto set my hand this 1st day of August, 2022.



JAMES F. PETERS, CSR
Certified Shorthand Reporter
License No. 10063