

CALIFORNIA ENVIRONMENTAL CONTAMINANT BIOMONITORING PROGRAM

(BIOMONITORING CALIFORNIA)

SCIENTIFIC GUIDANCE PANEL MEETING

CONVENED BY:

OFFICE OF ENVIRONMENTAL HEALTH HAZARD ASSESSMENT

CALIFORNIA DEPARTMENT OF PUBLIC HEALTH

STATE OF CALIFORNIA

THE CALIFORNIA ENDOWMENT

LAUREL ROOM

2000 FRANKLIN STREET

OAKLAND, CALIFORNIA

WEDNESDAY, NOVEMBER 6, 2019

10:01 A.M.

JAMES F. PETERS, CSR
CERTIFIED SHORTHAND REPORTER
LICENSE NUMBER 10063

A P P E A R A N C E S

PANEL MEMBERS:

Megan R. Schwarzman, M.D., M.P.H., Chair

Oliver Fiehn, Ph.D.

Eunha Hoh, Ph.D., M.S.E.S.

Penelope (Jenny) Quintana, Ph.D., M.P.H.

José Suárez, M.D., Ph.D., M.P.H.

OFFICE OF ENVIRONMENTAL HEALTH HAZARD ASSESSMENT:

Lauren Zeise, Ph.D., Director

Russ Bartlett, M.P.H., Senior Environmental Scientist,
Safer Alternatives Assessment and Biomonitoring Section,
Reproductive and Cancer Hazard Assessment Branch

Heather Bolstad, Ph.D., Staff Toxicologist, Air and
Climate Epidemiology Section, Community and Environmental
Epidemiology Research Branch

Sara Hoover, M.S., Chief, Safer Alternatives Assessment
and Biomonitoring Section, Reproductive and Cancer Hazard
Assessment Branch

Duyen Kauffman, Health Program Specialist, Safer
Alternatives Assessment and Biomonitoring Section,
Reproductive and Cancer Hazard Assessment Branch

CALIFORNIA DEPARTMENT OF PUBLIC HEALTH:

Kathleen Attfield, Sc.D., Research Scientist III, Exposure
Assessment Section, Environmental Health Investigations
Branch

Robin Christensen, Sc.M., Chief, Biomonitoring
Investigation and Outreach Unit, Exposure Assessment
Section, Environmental Health Investigations Branch

A P P E A R A N C E S C O N T I N U E D

CALIFORNIA DEPARTMENT OF PUBLIC HEALTH:

Jennifer Mann, Ph.D., Research Scientist IV, Exposure Assessment Section, Environmental Health Investigations Branch

Adam D'Amico, M.P.H., Research Scientist II, Exposure Assessment Section, Environmental Health Investigations Branch

Jianwen She, Ph.D., Chief, Biochemistry Section, Environmental Health Laboratory Branch

Jed Waldman, Ph.D., Chief, Environmental Health Laboratory

CALIFORNIA DEPARTMENT OF TOXIC SUBSTANCES CONTROL:

June-Soo Park, Ph.D., Chief, Environmental Chemistry Lab

PRESENTERS:

Terry Allen, Air Pollution Specialist, Community Planning Branch, Office of Community Air Protection, California Air Resources Board

Heather Arias, Chief, Community Planning Branch, Office of Community Air Protection, California Air Resources Board

Asa Bradman, Ph.D., Associate Director, Center for Environmental Research and Children's Health, University of California, Berkeley

Brian Moore, Air Pollution Specialist, Community Planning Branch, Office of Community Air Protection, California Air Resources Board

A P P E A R A N C E S C O N T I N U E D

ALSO PRESENT:

Nancy Buermeyer, Breast Cancer Prevention Partners

Anna Reade, Ph.D., Natural Resources Defense Council

Anna Scodel, California Air Resources Board

Chris Simpson, Ph.D., M.S.C, University of Washington

I N D E X

	PAGE
Welcome	
Lauren Zeise, PhD, Director, Office of Environmental Health Hazard Assessment (OEHHA)	2
Overview of the Meeting	
Meg Schwarzman, MD, MPH, Chair, Scientific Guidance Panel (SGP)	3
Program Update and Initial Results from the California Regional Exposure (CARE) Study, Los Angeles (CARE-LA)	
Presentation: Robin Christensen, Sc.M. and Jennifer Mann, PhD, California Department of Public Health	6
Panel and Audience Questions	32
Initial Results from the East Bay Diesel Exposure Project	
Presentation: Asa Bradman, PhD, Associate Director, Center for Environmental Research and Children's Health, UC Berkeley	44
Panel and Audience Questions	65
Morning Session Discussion	78
Afternoon Session	120
Introduction to Afternoon Session - Meg Schwarzman, SGP Chair	120
Update on Community Air Protection Program (established under AB 617)	
Presentation: Brief Overview of AB 617 Implementation, Heather Arias, Chief, Community Planning Branch (CPB), Office of Community Air Protection (OCAP), California Air Resources Board (CARB)	120
Presentation: Example Community - Wilmington, West Long Beach, Carson, Terry Allen, Air Pollution Specialist, CPB, OCAP, CARB	129
Presentation: Example Community - South Central Fresno Brian Moore, Air Pollution Specialist, CPB, OCAP, CARB	134
Panel and Audience Questions	141

I N D E X C O N T I N U E D

	PAGE
Afternoon Session Discussion - Exploring Next Steps for Biomonitoring in AB 617 Communities	
Introduction: Duyen Kauffman, Health Program Specialist, OEHHA	153
Discussion with Panel, Guest Speakers, and Audience	158
Possible Topics for 2020 SGP Meetings	
Presentation: OEHHA	209
Panel and Public Comment	212
Open Public Comment	220
Wrap-up and Adjournment	222
Reporter's Certificate	224

P R O C E E D I N G S

1
2 MR. BARTLETT: All right, everybody. Thank you
3 for coming. Go ahead and have a seat. We're going to get
4 started. And before we get officially started, let me
5 just run through a few logistics.

6 First, my name is Russ Bartlett. I am with the
7 Office of Environmental Health Hazard Assessment. So
8 today's meeting is available via webinar. So for the
9 benefit of those listening to the webinar as well as our
10 transcriber, please speak directly into the microphone --
11 please speak directly into the microphone and please
12 introduce yourself before speaking. Copies of the
13 presentations and the agenda are available in blue
14 folders. So if you haven't grabbed one, go ahead and grab
15 one. They're next to the door.

16 Today, we will break at 12:45 p.m. for lunch.
17 And restrooms are located just where the Panel is just to
18 our left of the Panel. Go ahead and exit that door and
19 it's immediately to your left. In the event of an
20 emergency, just across from my location to the other side
21 where the silver trash cans are, there's an emergency exit
22 door. When you enter that door, immediately to your left,
23 another left, and you'll be put out right here on Franklin
24 Street. So for Panel members, you guys can go through the
25 restroom door to the left and then to the right, and then

1 you'll see a door to exit right out on Franklin Street.

2 Without further ado, I'd like to introduce Lauren
3 Zeise, Director of the Office of Environmental Health
4 Hazard Assessment.

5 DIRECTOR ZEISE: Thank you, Russ.

6 I'd like to welcome everyone to this November
7 2019 meeting of the Scientific Guidance Panel meeting for
8 Biomonitoring -- for Biomonitoring California, that is the
9 California Environmental Contaminant Biomonitoring
10 Program.

11 Thank you all for participating, listening
12 online, coming here. And thank you for -- to the Panel
13 for sharing their expertise today.

14 We've got a great meeting planned. I'm really
15 looking forward to today's presentations and discussions.

16 Just to recap our last meeting, our summer
17 meeting. After hearing a program update, the Panel
18 reviewed six Program priorities that are going to be
19 included in the next report to the Legislature on the
20 Program. And recommended adding a seventh, and that is
21 conducting biomonitoring studies that are designed to help
22 evaluate the effectiveness of regulatory programs.

23 So flame retardants were the main focus of that
24 meeting. We heard results from the Foam Replacement
25 Environmental Exposures Study, also known as FREES. Had a

1 very good discussion of those results. These included
2 results for polybrominated diphenyl ether, or PBDEs and
3 organophosphate flame retardants and results from analyses
4 of house dust in furniture foam.

5 Then Gina Solomon, who is a former member of this
6 Scientific Guidance Panel, provided an overview of a class
7 approach to hazard assessment of organohalogen flame
8 retardants and general thoughts about how to apply class
9 approaches to chemicals.

10 And then there was a general open discussion on
11 next steps for the Program with regard to flame
12 retardants, including approaches for chemical selection
13 and possible future studies.

14 So the Panel also reviewed a preliminary
15 screening of the class of quaternary ammonium compounds,
16 or QACs, and recommended that OEHHA proceed with
17 developing a document on QACs for consideration as
18 potential designated chemicals. So stay tuned for that.

19 And then a summary of input from the science --
20 from this July meeting of the Panel, along with the
21 complete transcript is posted on the July SGP meeting page
22 on Biomonitoring.ca.gov.

23 And now I'll hand off to our SGP Chair, Meg
24 Schwarzman, who will provide more details about today's
25 meeting.

1 CHAIRPERSON SCHWARZMAN: Thank you, Lauren, and
2 thank you to everybody who worked to put this meeting
3 together. It's a very exciting meeting, because we get to
4 hear a bunch of results and I'm really looking forward to
5 that.

6 So our goals for this session in this morning,
7 we'll receive first a Program update and hear the initial
8 results from the CARE-LA study, the California Regional
9 Exposures Study and that's the L.A. region, and the East
10 Bay Diesel Exposure Project. And after each presentation,
11 there will be a brief time, about 10 minutes each for
12 questions. And then there will be, after both
13 presentations, an hour for discussion of those results
14 just to sort yourselves about what input goes where.

15 After lunch, we'll hear from staff from the
16 California Air Resources Board, who will provide an update
17 on the implementation of the Community Air Protection
18 Program, which is established under Assembly Bill 617.
19 And they will be highlighting examples from AB 617
20 communities.

21 The afternoon discussion will explore next steps
22 for biomonitoring under AB 617 community -- or in AB 617
23 communities, including the goals of those studies and
24 considerations in selecting communities to study.

25 We will at the end also review possible topics

1 for 2020 Biomonitoring SGP meetings. And the last item of
2 the day is a public comment period that's open on all
3 topics, not just topics of the day.

4 So today, we're not going to be using comment
5 cards, because we want the discussion to be a little more
6 free flowing. If you want to speak during either question
7 or discussion periods, you can come to the podium, sort of
8 line up along the podium. You can raise your hand. I'll
9 call on you at the appropriate moment. For the benefit of
10 the transcriber, we do need everybody to be at a
11 microphone and please clearly identify yourself before
12 providing your comment and also write your name on the
13 sign-in sheet, so that the transcriber can refer to that.

14 If you're joining the meeting via webinar, you
15 can provide comments via email. The email address is on
16 the screen right now. It's Biomonitoring@OEHHA -- that's
17 O-E-H-H-A, .ca.gov. And we'll keep an eye -- staff will
18 keep an eye on the email and pass along any relevant
19 comments that we'll read aloud. Please keep in mind
20 keeping your comments brief and relevant to the topic at
21 hand, apart from the open public comment period at the
22 end.

23 So I'm going to start by introducing our morning
24 presenters. Nerissa Wu could not be here today and so she
25 is being replaced for the time by Robin Christensen. And

1 I appreciate you're stepping in.

2 Let's see. So Robin Christensen is Chief of the
3 Biomonitoring Investigation and Outreach Unit in the
4 Exposure Assessment Section in the Environmental
5 Investigations Branch at the California Department of
6 Public Health. And she's presenting the material that
7 Nerissa Wu had prepared. This will be the Program update
8 and some of the CARE-LA results.

9 And that's followed by -- she'll be followed by
10 Jennifer Mann, who is a Research Scientist in Nerissa's
11 group at CDPH. And Nerissa -- sorry. So she will follow
12 Robin with more on the CARE-LA study.

13 MS. HOOVER: You might want to hold it.

14 (Thereupon an overhead presentation was
15 Presented as follows.)

16 MS. CHRISTENSEN: How about now?

17 So hello, everybody. Good morning. And thank
18 you all for joining us here today. And as you have heard,
19 Dr. Wu is unexpectedly out today. I think she may be
20 listening in right now. So we could hear from her through
21 the Biomonitoring email. She wants to express that she is
22 so very sorry for unexpectedly not being here today. And
23 I hope that I do her slides some justice.

24 --o0o--

25 MS. CHRISTENSEN: Okay. So starting off with the

1 Program budget here. Our current fiscal a year, 2019-20,
2 reflects State baseline funding. And to put it bluntly,
3 this is our lowest Program budget since 2008. This means
4 that we have some pragmatic and some potentially difficult
5 decisions to make in our future. And we alluded to those
6 at our last meeting in the summer.

7 But as dire as this chart might appear, it does
8 not tell the whole story. We are far better equipped in
9 2019 than we were in 2008. We have staff,
10 instrumentation, methods, and a full Biomonitoring
11 Program. We have a statewide biomonitoring study in CARE
12 and we have innovative targeted studies, such as EBDEP,
13 which you'll be hearing about later.

14 --o0o--

15 MS. CHRISTENSEN: So speaking about the CARE
16 study. Here, we have the CARE timeline. We are currently
17 in a rather hectic phase right here, where we're somehow
18 working in three regions at once, which, as I mentioned
19 before, is an administrative and a logistical headache.
20 But fortunately, the bulk of the work here is actually
21 being carried out by four separate teams. CARE-LA is
22 being led by the epi and stats team who are busy digesting
23 the data and doing analysis. CARE-2 is being handled by
24 our two laboratories. And our CARE-3 outreach team is
25 currently working in San Diego and Orange County to make

1 connections within the community.

2 --o0o--

3 MS. CHRISTENSEN: So I want to -- for most of the
4 talk today, Jennifer and I will be focused on CARE-LA
5 results. But I want to start off by highlighting a
6 case -- a recent case from Region 2 that helps to
7 illustrate the impact that our Program can have.

8 One of our study participants in Region 2 was
9 experiencing some symptoms that caused her to talk to her
10 physician. She was feeling generally off, her weight was
11 down, her blood pressure was up, she was irritable, having
12 trouble sleeping, her hands a little bit shaky. She
13 mentioned that there could have been some balance issues,
14 but she wasn't quite sure. You know, it was -- it was
15 kind of vague.

16 So her doctor didn't actually find any specific
17 cause. And none of these symptoms are -- they're -- they
18 could be fairly common. She was getting a little bit
19 older. Her doctor prescribed some medication for the
20 blood pressure and provided her some guidance and sent her
21 on her way. They agreed to follow up later.

22 What the doctor did not know was that her urinary
23 mercury level was over 80 micrograms per liter. This is
24 four times over our level -- four times our level of
25 concern for mercury in urine.

1 The symptoms associated with exposure to mercury
2 include tremor, irritability, memory loss, and nervous
3 system disturbances. Mercury can affect brain
4 development. It can harm the nervous system and kidneys.
5 And if the exposure persists, it can cause irreparable
6 damage. Biomonitoring California has a protocol to follow
7 up with all of the participants whose values exceed the
8 level of concern, or LOC. We do this by sending a letter
9 with their results and following up with a phone call.
10 That phone call is an opportunity for us to discuss
11 potential exposures sources with the participant and to
12 offer guidance for how to reduce potential sources of
13 exposure.

14 What we learned from our participant is that she
15 was using a skin cream imported from Mexico. These skin
16 creams are often marketed toward women looking for a
17 clearer, smoother complexion. Mercury may be added after
18 market. And these creams are often sold in
19 non-traditional ways, such as by word of mouth or through
20 an online marketplace.

21 Our staff suggested to her that she immediately
22 stop using that cream. And we sent her materials that she
23 could share with her physician, including information on
24 how to receive follow-up testing and how to meet with her
25 physician routinely to see if her levels would decline

1 over time.

2 So this is one recent example of how a
3 biomonitoring study can help support clinical follow-up.
4 But - and I'll get into this more later - about eight
5 percent of our study population as a whole has at least
6 one metal that exceeds a level of concern. Not all
7 elevations require clinical management or follow-up, but
8 all of our participants with elevations can benefit from
9 increased awareness and education to reduce harmful
10 exposures.

11 Eight percent of Californians is over three
12 million people. That's three million people with
13 potentially harmful levels of lead, mercury, arsenic, or
14 cadmium. So imagine the impacts that we could have if we
15 could increase awareness of environmental exposures across
16 the state through the CARE study, if we could educate
17 individuals, communities, and policymakers about common
18 sources of exposures, and if we had data and evidence to
19 back up those recommendations. We'll be sharing some of
20 that data with you today.

21 --o0o--

22 MS. CHRISTENSEN: And moving into the CARE Study.
23 As you know, we have many different sources of data
24 available to us. We collect demographic information on
25 the initial interest form or pre-screen. And we collect

1 some personal data as well such as the reproductive
2 history that is captured on our exposure survey.

3 --o0o--

4 MS. CHRISTENSEN: But the focus of the exposure
5 questionnaire is to really collect data on exposure
6 sources. So this includes several questions such as:
7 does your home have any paint peeling from the walls, how
8 often do you wear stain-resistant, or water-resistant, or
9 water-proof clothing, and as part of your diet in a
10 typical week, how often do you eat shell fish, or
11 potatoes, or fast food?

12 --o0o--

13 MS. CHRISTENSEN: Our plan for analyzing the data
14 is roughly broken down into the three phases here.

15 Results return comes first. We compare
16 individual results to NHANES and the CARE study population
17 as a whole. We look at the ranges. We look at central
18 tendencies and detection frequencies. And then we develop
19 an initial summary. This looks at the demographic factors
20 one at a time. And this is the information that we have
21 completed already and will be presenting to you today.

22 Our current task is to dive deeper into those
23 exposure factors. Our data team is now building
24 multivariable models with the parameters that have been
25 found to be at least moderately significant. The

1 challenge for our Program is to continue to carve out
2 enough time to do this.

3 --o0o--

4 MS. CHRISTENSEN: So let's talk about the CARE-LA
5 initial results. For all of the following slides, our
6 comparison group is adults 20 and older from NHANES 15-16.
7 And asterisks indicate significant difference.

8 So here we have blood metals. We found high
9 detection frequencies, which is really not unexpected
10 given the low limits of detection. We also found that
11 lead concentrations were significantly lower in CARE-LA as
12 compared with NHANES, while manganese and mercury were
13 significantly higher.

14 --o0o--

15 MS. CHRISTENSEN: For nine urinary metals, we had
16 high detection frequencies for two-thirds of these metals
17 here. But the detection frequencies for uranium, antimony
18 manganese were below 65 percent, so we didn't calculate
19 the geometric means and that's why you'll see the blanks
20 in this table here.

21 The geometric mean levels of urinary arsenic,
22 cadmium, molybdenum, and thallium were significantly
23 higher in CARE-LA as compared to NHANES, while urinary
24 cobalt concentrations were significantly lower.

25 --o0o--

1 MS. CHRISTENSEN: Okay. So here we have the
2 number of people with levels that exceeded our levels of
3 concern. We have six LOCs for four metals, that's arsenic
4 in urine, cadmium in blood and urine, lead in blood, and
5 mercury in blood and urine.

6 Thirty-five of our 430 CARE-LA participants had
7 at least one metal above a level of concern. Four
8 participants had both arsenic and mercury exceedances, so
9 these numbers don't quite add up to 35. As I alluded to
10 before, this is about eight percent of our study
11 population, which is very similar to what we found in the
12 BEST study in the Central Valley.

13 --o0o--

14 MS. CHRISTENSEN: So among CARE-LA participants,
15 we did see some differences by race. Asian participants
16 had higher blood mercury levels than other groups. This
17 is typical in both California and in NHANES and it may be
18 driven in part by exposure to mercury from food. Blood
19 lead was higher in both Blacks and Asians as compared to
20 Hispanics.

21 --o0o--

22 MS. CHRISTENSEN: And, here we go. Again here,
23 Asian participants came out a bit higher, higher blood
24 cadmium concentrations than Hispanics and higher blood
25 manganese levels than both White and Black participants.

1 You know not shown on this slide, but an interesting
2 add-on to point out, both blood and urinary cadmium levels
3 varied significantly by the participant's birthplace.

4 Participants who were born in Asia had higher
5 blood and urinary cadmium levels compared to participants
6 that were born elsewhere.

7 --o0o--

8 MS. CHRISTENSEN: Oops, too far.

9 Okay. Here, we have chromium adjusted urinary
10 arsenic by race. Again, we found that arsenic was higher
11 in Asian participants as compared to the other groups.
12 And similar to what we saw with cadmium, Asian birth place
13 was also associated with higher levels of urinary arsenic.

14 Both urinary arsenic and blood mercury
15 concentrations have increase -- or they increase with
16 income levels. And this finding might reflect higher
17 seafood consumption in higher income populations. Seafood
18 is a known exposure source for both arsenic and mercury.
19 This is just a hypothesis. We are testing this and we'll
20 be looking at it a little closer in the next phase of data
21 analysis.

22 --o0o--

23 MS. CHRISTENSEN: Moving on to PFASs. We tested
24 for 12 PFASs. And the seven shown on this slide were
25 those that had detection frequencies above 65 percent.

1 The others are not included in the table.

2 So for PFASs we do see statistically significant
3 differences between CARE-LA and the NHANES population.
4 Now, this could be due to temporal trends. CARE-LA
5 samples were collected in 2018. And unlike metals, we
6 would expect to see that some PFASs are declining or
7 changing over time.

8 --o0o--

9 MS. CHRISTENSEN: When we look at PFASs by race,
10 we learn that CARE-LA's Asian participants had much higher
11 levels of certain PFASs as compared to NHANES, but still
12 lower levels of PFASs than are ACE study participants.
13 ACE is Asian-Pacific Islander Community Exposure Project.

14 We're not quite sure what that means yet. The
15 ACE participants were a really different group. They live
16 in a different region of the state and samples were
17 collected at a different point in time. But our team will
18 be exploring that further.

19 --o0o--

20 MS. CHRISTENSEN: We see some other demographic
21 trends in the PFAS data. There are some associations with
22 educational level attained, and men have higher levels
23 than women. Older participants also have higher levels
24 than younger participants. So these are trends that have
25 been seen in NHANES and elsewhere.

1 --o0o--

2 MS. CHRISTENSEN: Moving on to the CARE-LA
3 environmental phenols. This panel included bisphenol A
4 and its analogs BPS and BPF, benzophenone-3, parabens,
5 triclosan, and triclocarban.

6 Phenols was a late addition to the CARE study, so
7 we ended up analyzing samples from only 60 participants,
8 and all of them were women. So we selected the 60 samples
9 equally between Asian, Black, Hispanic, and White women.

10 So two big caveats here looking at this data.
11 This should be considered hypothesis generating. We can't
12 surmise too much from this limited sample size. And we
13 also know that there are temporal trends that exist for
14 phenols. So for many of these compounds that could also
15 be playing a role in what we're seeing here.

16 Despite these caveats, the comparison does show a
17 significant difference between CARE-LA and NHANES for
18 methyl paraben, propyl paraben, and triclosan.

19 --o0o--

20 MS. CHRISTENSEN: A few other things were notable
21 in the CARE-LA data. Within the CARE-LA subsample, Black
22 women were the highest in methyl paraben compared to other
23 races. This is consistent with NHANES and is also
24 consistent with some community concerns about some
25 products marketed toward women of color.

1 And I would like to turn it over to Jennifer.

2 (Thereupon an overhead presentation was
3 presented as follows.)

4 DR. MANN: Hi. Robin just gave you preliminary
5 findings for metals, PFASs, and urinary phenols. And I'm
6 going to be giving the first of two talks today on what
7 happens when CARE-LA -- with CARE-LA results for diesel
8 exhaust.

9 --o0o--

10 DR. MANN: Sorry about that.

11 So diesel exhaust has been a topic of Scientific
12 Guidance Panel meetings going back to 2008 when the Panel
13 voted to recommend it as a designated chemical at the
14 December meeting.

15 It was listed as a priority chemical at the
16 following meeting in March 2009. And in listening
17 sessions in 2016 with community and stakeholder groups,
18 there was strong interest in biomonitoring of diesel
19 exhaust exposures as well.

20 What slowed us down was how to identify the -- a
21 good specific biomarker of diesel exhaust. In 2014, Chris
22 Simpson presented to the Scientific Guidance Panel and he
23 proposed metabolites of 1-nitropyrene as such a biomarker.
24 1-nitropyrene is the predominant nitrated polycyclic
25 aromatic hydrocarbon emitted in a diesel engine.

1 log-transformed values. And finally, you can see that the
2 detection frequencies were not bad for both metabolites.

3 --o0o--

4 DR. MANN: We anticipate since 6- and 8-OHNP are
5 performed -- or formed by the same general metabolic
6 pathway, that there will be -- the two will be correlated.
7 And indeed overall, the correlation was 0.7, overall 105
8 participants. But we see a lot of variation by race.
9 Pretty good correlation for non-white participants ranging
10 from 0.78 to 0.97.

11 But for white participants, the correlation is
12 0.27 and is not statistically significant. Here, the red
13 star means that the association is statistically
14 significant with a p of less than 0.05.

15 We weren't sure why we see this difference in
16 white and non-white participants. It may have to do with
17 variation in metabolism. And it will be interesting to
18 see if we see the same lack of correlation in CARE-2, and
19 in EBDEP, and in other regions of California.

20 --o0o--

21 DR. MANN: Another thing to note that as an air
22 pollutant, 1-nitropyrene has seasonality. PAHs in air,
23 including 1-nitropyrene tend to be much higher between
24 November and February in California. And this is in part
25 because of inversions, which increase concentrations of

1 all winter-time pollutants.

2 But it's also important to note that rain leads
3 to sharp declines in concentrations, so you can have a lot
4 of within-season variability. Because of weather
5 patterns, both the timing and the level of peak
6 concentrations can vary from year to year and from place
7 to place.

8 --o0o--

9 DR. MANN: So here's what happens when we look at
10 each of the metabolites by month of study. The red
11 diamonds are 6-OHNP, the blue squares are 8-OHNP, and the
12 months of CARE-LA sample collection were February, March,
13 April, and May. And you can see there's a general decline
14 in 6-OHNP over the months of study with highest values in
15 February and lowest in May. And in particular, the May
16 concentrations were much lower than the other months, but
17 you don't see that for 8-OHNP, where the concentrations
18 are pretty similar over the months of study.

19 --o0o--

20 DR. MANN: Why is this important?

21 Well, here's what happens when we look at who
22 participated by month of study, by race/ethnicity. The
23 blue bar is Hispanics and you can see that the percent of
24 Hispanics goes up with each month of study from February
25 to May. This -- it's a little bit faded, but I will call

1 it a red-orange bar. It's right next to the blue bar is
2 white participants. And you can see that their percent of
3 white participants declines over the course of the study.

4 So this is an illustration of why differences by
5 months could obscure any differences in 6-OHNP by
6 race/ethnicity, given the trends in each. Similarly, the
7 other differences by groups, such as age and income, could
8 be obscured by unintentional trends in demographics over
9 the study period.

10 --o0o--

11 DR. MANN: This was mentioned by Robin, but we
12 had a couple of different stages in building our models
13 for each of our -- the analytes that we looked at in
14 CARE-LA. And the first step was to look at demographics,
15 such as race, gender, and age, and to consider in
16 multivariable models each characteristic that had an
17 association with a P value of less than 0.10. And then we
18 also considered other factors, but more specific to diesel
19 in multiple regression models.

20 So we looked at self-reported exposures to diesel
21 exhaust over the last three days, diesel traffic within
22 500 meters of residence and tobacco use. And I'll also
23 point out that we, as I mentioned earlier, used
24 log-transformed metabolites.

25 --o0o--

1 DR. MANN: So on this slide, you can see what
2 happened. NS means there was a non-significant
3 association. And, yes, with a red star means there was a
4 significant association. So race, ethnicity, gender,
5 education, income, place of birth, and language of survey
6 were not associated with either metabolite. The only
7 thing that was associated with 6-OHNP is not really a
8 participant characteristic, it was month of sample
9 collection, which we put into the model because of the
10 seasonality that we'd observed in descriptive analyses.

11 And for 8-OHNP age in years was associated
12 with -- age and years was the only thing associated with
13 8-OHNP levels. That was associated with decline levels of
14 about one percent per increase in age.

15 The same association was seen when we looked at
16 age by categories. We had both 20-year age groups and
17 10-year age groups, pretty similar finding.

18 --o0o--

19 DR. MANN: Hold it closer or a little further?

20 MS. HOOVER: Closer.

21 DR. MANN: Closer. Sorry.

22 Okay. So next, we looked at traffic near
23 participant residents. This entire analysis could not
24 have been completed without the EBDEP collaboration. They
25 were the ones that came up with the sources of traffic

1 data and also helped us link everything in GIS. And a
2 special thanks to Russ Bartlett for his continued
3 assistance in this effort. He came to Richmond many times
4 to help us out.

5 So, first, we started by looking at traffic
6 counts for segments of primary highways and secondary
7 roads for L.A. County in 2017. And the source of this
8 data was the U.S. Department of Transportation Federal
9 Highway Administration Highway Performance Monitoring
10 System.

11 So we determined all traffic segments within a
12 500-meter buffer of the participant's residence. We
13 multiplied daily traffic counts by road segment length in
14 kilometers to get daily vehicle kilometers traveled or VKT
15 for each road segment. And then we summed all the road
16 segment daily VKTs to yield a total daily vehicle
17 kilometers traveled within the 500-meter buffer for each
18 participant.

19 And we looked at the traffic count data actually
20 looked separate at all vehicles, so that's all commercial
21 and passenger vehicles on the road. Then there's a
22 separate category for buses and commercial trucks that
23 don't have trailers. And then a final category for those
24 tractor trailers, which includes those really huge
25 semi-trucks. These latter two categories are where we

1 expect most of the diesel exposure to be.

2 --o0o--

3 DR. MANN: So here we see what happened when we
4 looked at these things. In the case of 6-OHNP, we also
5 had a month of sample collection in the model. In the
6 case of 8-OHNP, we also -- we had age, which we don't see
7 here. And we look at all of these different traffic
8 measures one at a time. And what you're looking at is the
9 effect of an interquartile range change in VKT, which is a
10 little bit of a brain twister. But what we're trying to
11 do is be able to compare across different measures. The
12 numbers were very different.

13 And we can see that for 6-OHNP, all three
14 different measures. There's a significant association
15 with levels of 6-OHNP. However for 8-OHNP, we don't see
16 any association with buses and commercial trucks, and only
17 marginally significant associations with tractor trailers
18 and all vehicles.

19 And I don't want you to focus too much on
20 magnitude of association, because I'll be presenting
21 multivariable models later on. But you can see that the
22 effect levels were generally higher for 6-OHNP.

23 --o0o--

24 DR. MANN: Robin mentioned that we have a
25 study -- sorry, a survey that we give at the point of

1 sample collection that talks about very recent exposures.
2 And there were three questions related to diesel exhaust
3 on that questionnaire.

4 And they were:

5 In the last three days have you worked with or
6 around diesel-powered equipment or vehicles? That was yes
7 or no.

8 In the last three days, how much time have you
9 spent in a vehicle on a freeway? And the categories were
10 less than one hour, one to six hours, six to nine hours,
11 and more than nine hours.

12 And finally, in the last three days, have you
13 been around diesel-powered equipment or vehicles other
14 than for your job or on the freeway? That was a yes and
15 no -- or no, with a follow-up as to what the exposure was.
16 And often, it was things like having house near a bus stop
17 or living near a busy road.

18 --o0o--

19 DR. MANN: Oh, sorry. So we see some interesting
20 results here. So work with or around diesel equipment was
21 associated with elevations in 6-OHNP. However, time spent
22 on freeway was associated with a decline in 6-OHNP. So
23 for every category, there was a 20 percent change -- a 20
24 percent decline in 6-OHNP level which is not what you
25 would think if time spent on the freeway was reflecting

1 DR. MANN: The next two slides I'm going to be
2 looking at multivariable models with all of the different
3 variables that I've discussed. So for 6-OHNP what you
4 don't see is that we had a factor term for month of sample
5 collection as well, which I haven't listed. And both
6 tractor-trailer traffic, which is the measure of traffic I
7 selected to use for these analyses, and current tobacco
8 use were significantly associated with increased 6-OHNP.
9 And the other variables were marginally significant. So
10 that work-related diesel exposure variable becomes below
11 0.05, but still pretty well maintained, and that inverse
12 association with time on freeway is still there.

13 --o0o--

14 DR. MANN: For 8-OHNP, you can see that age,
15 tractor-trailer traffic and current tobacco use were
16 significantly associated with increased 8-OHNP levels.
17 And that the other diesel exposure, not on freeway or at
18 work, is marginally significant.

19 The -- for both of these models, the R-squared is
20 very low. It was 20 -- about 22 percent for 6-OHNP and
21 then this model is 12 percent of the variability in
22 8-OHNP.

23 --o0o--

24 DR. MANN: So preliminary conclusions are that
25 month of sample collection for 6-OHNP and age for 8-OHNP

1 were the only participant characteristics associated with
2 metabolite levels. And in both multivariable models, both
3 6-OHNP and 8-OHNP levels were associated with
4 tractor-trailer traffic volume and tobacco use.

5 And finally, reported recent exposure to diesel
6 was marginally associated with metabolite levels, but the
7 direction of the effect varied.

8 --o0o--

9 DR. MANN: So some issues came up and we were
10 analyzing these data. And you can see that there's some
11 conundrums in there. And the first is -- because I have a
12 background in air pollution epidemiology, and seasonality
13 is one of the main things that you have to confront when
14 you're looking at air pollutants, because they vary by
15 month. And in the case of CARE-LA, we're only measuring
16 everybody one time. It's a cross-sectional study.

17 And the characteristics of participants can vary
18 by month of sample collection. So seasonality of the air
19 pollutants might obscure groups with higher levels of
20 exposure. We don't see any associations, so we don't know
21 if it's because they don't exist or because we can't see
22 if they exist.

23 Another thing that came up for me was whether or
24 not we should restrict analysis of 1-nitropyrene to
25 non-smokers since tobacco users have higher levels of both

1 metabolites. And these associations with tobacco use are
2 independent of recent diesel exposures and traffic volume.

3 --o0o--

4 DR. MANN: And one other thing that's not
5 actually on this slide that came up for me is the very
6 different sort of pattern of what we see for 6-OHNP and
7 8-OHNP.

8 --o0o--

9 DR. MANN: So next steps are to continue with the
10 traffic analysis. We want to look at heavy-duty traffic,
11 which is the combination of both the buses and commercial
12 traffic and the tractor-trailer traffic. We also want to
13 consider other buffer sizes around the residence, and look
14 at the effects of bus stops and bottlenecks, all data that
15 we're getting from EBDEP. We want to compare our results
16 to what EBDEP found. And we now have 160 samples for
17 1-nitropyrene that are being analyzed with the University
18 of Washington for CARE-2. So we'll look at that next.

19 --o0o--

20 DR. MANN: I want to thank the University of
21 Washington, especially Chris Simpson and Mike Paulsen; the
22 EBDEP team, both at UC Berkeley and OEHHA; and the other
23 Biomonitoring California staff.

24 Thank you.

25 CHAIRPERSON SCHWARZMAN: Thank you so much both

1 to Robin and to Jennifer. And - excuse me - we have time
2 now for clarifying questions for both of them from both
3 CARE-LA presentations, if you wouldn't mind being
4 available also, Robin. And I will get us started and
5 maybe I'll start with Jennifer and then go to Robin, since
6 Jennifer just presented.

7 Thank you for mentioning the heavy-duty diesel
8 vehicle category. And I'm so glad that you're going to
9 combine those and look at that together, because from a
10 policy perspective, that's where all of CARB's action has
11 been.

12 DR. MANN: Um-hmm.

13 CHAIRPERSON SCHWARZMAN: And I'm separately
14 working on an analysis of the -- which sectors are --
15 contribute the most to the declines in diesel emissions
16 per vehicle mile traveled over the last 15 years -- more
17 than that, 25 years of California data. So I think
18 comparing those two will be very interesting.

19 I'm curious if you compared with NHANES, because
20 one 1-NP is in NHANES.

21 DR. MANN: It's not.

22 CHAIRPERSON SCHWARZMAN: There's some NHANES --
23 I'm thinking of a different data source. Let me check
24 what I'm saying.

25 Okay. Never mind that question.

1 (Laughter.)

2 DR. MANN: Yeah, we would have. We would have if
3 we had known

4 CHAIRPERSON SCHWARZMAN: Yeah.

5 DR. MANN: And maybe Chris Simpson.

6 DR. SIMPSON: Yes. Chris Simpson, University of
7 Washington. I was just going to confirm that the 1-NP
8 metabolites themselves, to my knowledge, are not in
9 NHANES.

10 CHAIRPERSON SCHWARZMAN: And my question for
11 Robin, if you don't mind, is on your slide 17 and 18, I
12 don't know if we could go back to those. There was one
13 thing that you said that just went by me too fast and I
14 didn't catch. On slide 17, you have the phenol results
15 for CARE-LA And bisphenol A is not on there, because it
16 was below limit of detection. But you said which -- what
17 percent of samples it was detected in compared to BPS and
18 I missed the BPA percent.

19 MS. CHRISTENSEN: Ah. Okay. Easy. Forty-seven
20 percent.

21 CHAIRPERSON SCHWARZMAN: Thank you. That's very
22 useful. And my other question was again just a small
23 detail. Slide 18 says that the comparison with NHANES was
24 with sample year 2013-14, but the table on the previous
25 slide says 15-16. Do you know which it was?

1 MS. CHRISTENSEN: Can you hop back.

2 So this is -- stay here.

3 (Laughter.)

4 MS. CHRISTENSEN: No.

5 (Laughter.)

6 MS. CHRISTENSEN: Please stay here.

7 MR. BARTLETT: Sure.

8 MS. CHRISTENSEN: Thank you.

9 Okay. I can't explain that. And I did not make
10 these slides. I will turn to Adam who was responsible for
11 much of the phenols and ask him if he has an explanation
12 here.

13 MR. D'AMICO: Hi. Adam D'Amico, CDPH.

14 Yes, the comparison was to 2015-16. We did it a
15 couple of different ways, so I think different versions
16 ended up in the slides, but the main comparison was 15-16.

17 CHAIRPERSON SCHWARZMAN: Thank you so much.

18 MS. CHRISTENSEN: And, yes, we compared to just
19 the women within NHANES. So that's a further
20 clarification, that would -- because the environmental
21 phenols was only sampling women.

22 CHAIRPERSON SCHWARZMAN: Okay. Thank you for
23 allowing my small clarifications.

24 Other questions?

25 PANEL MEMBER QUINTANA: Hi. Is this on?

1 I had some clarifying questions also. One is for
2 both of you really, which is that you stated in both
3 presentations you asked about smoking status, but did you
4 also ask about exposure to secondhand smoke?

5 DR. MANN: Yes, we did. We asked about exposure
6 to secondhand smoke both usually and also in the past
7 seven days. The problem was that there was a big overlap
8 between people who smoked themselves and people who were
9 exposed to secondhand smoke. So we couldn't really look
10 at it separately. And actually, when I looked at it
11 anyway, it was not -- it was hard to tell what was going
12 on. The associations became non-significant, but we had
13 that problem.

14 So there's only four people in my analysis that
15 was with the passive smoke, but themselves were not
16 smokers.

17 PANEL MEMBER QUINTANA: I see. So that would be
18 a little lower than typical for the population, but I'm
19 sure it can happen. Another question I had was also for
20 you, if you looked at secondhand smoke, but with your
21 sample size, not you -- in the first presentation, because
22 if that was looked at for cadmium. It's a known source of
23 cadmium in the blood.

24 DR. MANN: It was, yes.

25 PANEL MEMBER QUINTAN: Okay.

1 DR. MANN: It's just not reported in these
2 results, because we're reporting from an earlier phase of
3 analysis. But, yes, we did look at cigarette smoke. And
4 actually I think it was considered for all the metals, but
5 especially cadmium and we did see associations as one
6 would expect.

7 PANEL MEMBER QUINTANA: For secondhand smoke or
8 for cigarette smoke?

9 DR. MANN: Oh, sorry. I'm not sure if secondhand
10 smoke was looked at. Yeah.

11 PANEL MEMBER QUINTANA: That is --

12 DR. MANN: We will make sure to do that.

13 PANEL MEMBER QUINTANA: -- associates it.

14 And can I ask a couple more?

15 CHAIRPERSON SCHWARZMAN: Sure.

16 PANEL MEMBER QUINTANA: Sorry.

17 So this is also a general one just from we go out
18 in the community and do some community-based studies, we
19 find mixed race to be one of the major categories in
20 studies. But in this CARE study, you know, I never see
21 that as a category. And I'm wondering do you actively
22 exclude people that are mixed race, because that would be
23 not really reflecting the population or how do -- how does
24 that work with your data as you show it?

25 DR. MANN: We don't exclude mixed race. And we

1 have a few different ways of assessing whether or not one
2 is mixed race. And we have variables that specifically
3 look at that that are part of our analysis. In -- for
4 1-nitropyrene, our levels -- our number of people in that
5 category got too low as we categorized them to really look
6 at it well. But it is something we looked at for all the
7 other analytes. We just haven't reported it out today.

8 And then Kathleen, I didn't know if you had
9 anything to add to that?

10 No.

11 PANEL MEMBER QUINTANA: So I guess I would argue
12 against presenting the results --

13 DR. MANN: Without that.

14 PANEL MEMBER QUINTANA: -- without that, because
15 it doesn't seem to reflect what you normally see for
16 California.

17 DR. MANN: Right. So there's a few different
18 ways that we categorized race and ethnicity. And what I
19 was presenting today was what we call a semi-exclusive
20 form of it. So everybody got assigned to a single
21 category, and that included if you were Hispanic at all,
22 you ended up in the Hispanic category. And then there was
23 Black, Asian, White, and then other, which included mixed
24 race people, and also people who were Native American and
25 Pacific Islanders.

1 But we also had other ways of looking
2 specifically at people who were mixed race, either
3 non-Hispanic in two or more races or Hispanic as one of
4 the potential definitions of being multiracial.

5 So we did look at that. Those results aren't
6 here today, but we'll make sure that they are presented
7 when we present our results. Create a category

8 DR. ATTFIELD: I just want to add a little
9 context.

10 THE COURT REPORTER: Can you identify?

11 DR. ATTFIELD: Sorry?

12 THE COURT REPORTER: Can you identify.

13 DR. ATTFIELD: Oh, sorry. Kathleen Attfield,
14 Biomonitoring California.

15 Just to add a little context, there are -- there
16 are new laws around reporting health statistics by
17 different types of categorization of multi-race. And that
18 kicks in next year, so you'll be seeing that we have been
19 working on looking at those in sort of different
20 permutations for people who identify as any particular
21 race, and then exclusively a particular race. These are
22 all part of the requirements, and then multiracial of
23 different sort of groupings. So you'll be seeing much
24 more complex types of presentations by next year I think
25 is when we're required to do it that way.

1 But we have been looking at these in different --
2 different ways because grouping people puts, you know,
3 different ways of their types of cultural backgrounds,
4 their exposures in different light. So it can be very
5 illuminating and that -- you know, we'll see more of that
6 going forward.

7 PANEL MEMBER QUINTANA: And one quick --

8 CHAIRPERSON SCHWARZMAN: Yeah, go ahead.

9 PANEL MEMBER QUINTANA: -- question about diet.
10 Sorry. For the first presentation, you talked about
11 arsenic and cadmium being higher in Asian -- classified
12 here as Asian group. And since there's constant reports
13 in the news media with rice contaminated with cadmium and
14 rice contaminated with inorganic arsenic, I'm just curious
15 if your dietary intake survey includes such detail or is
16 it more general?

17 MS. CHRISTENSEN: We do collect information on
18 rice and rice products. It is not as in-depth as the
19 survey was for the ACE study, which really had a dedicated
20 focus, but we are trying to capture that. And we have
21 several food frequency tables in which we're capturing
22 that sort of information.

23 CHAIRPERSON SCHWARZMAN: Other questions from the
24 panel?

25 José.

1 PANEL MEMBER SUÁREZ: José Suárez.

2 I have a question about the 1-nitropyrene -- or
3 actually rather trying to see if we can have a little bit
4 of a discussion of the question that you have there,
5 whether should smokers be then included for further
6 analyses.

7 And so I think -- I was looking at your slide on
8 number 15, the metabolite levels by tobacco use.

9 DR. MANN: Yes.

10 PANEL MEMBER SUÁREZ: Perhaps we can put that up
11 there. And that kind of suggests to me that indeed they
12 probably -- it would be better to exclude them, given that
13 there's such a wide range there, the 95 percent confidence
14 interval -- yeah, that's the table right there.

15 DR. MANN: Right.

16 PANEL MEMBER SUÁREZ: -- so that the
17 concentrations vary substantially by smoking status. And
18 even though this is cross-sectional, this would make me
19 think that if we were to do a lot of repeated measures
20 also the within individual variability of these would be
21 substantially higher among smokers than non-smokers, and
22 that becoming an issue in itself, which will introduce
23 just a lot of noise when you're trying to compare these
24 other constructs.

25 So that would be my suggestion.

1 DR. MANN: Okay.

2 PANEL MEMBER SUÁREZ: Indeed, I think it sounds
3 like you are thinking along those same lines.

4 DR. MANN: Yes.

5 CHAIRPERSON SCHWARZMAN: Maybe I'll flag this as
6 an issue that we can bring up again in the discussion that
7 we have after we hear the EBDEP study results, because it
8 probably bears a little bit of additional conversation.

9 Thank you for raising it and we'll bring it up
10 again.

11 Other questions?

12 Other questions from the Panel?

13 Yes.

14 PANEL MEMBER HOH: Just clarification that --
15 just following up the tobacco user, is that the smoking or
16 other products as well?

17 DR. MANN: So it includes people who smoke
18 cigarettes currently. And it also includes people who
19 smoke -- who use hookahs, and bidis, and also people who
20 use smokeless tobacco, because that was the form of the
21 question. It was just a yes/no question for all of these
22 different alternatives. So they had to be included. And
23 that's why it's not all smokers. It's tobacco users. I
24 may have misspoken at some point, because I think of them
25 as smokers, but they're all tobacco users.

1 CHAIRPERSON SCHWARZMAN: I had the same question,
2 so that includes smokeless other form -- like --

3 DR. MANN: It does, but we don't know exactly
4 what it is that they're saying yes to. It's a long list
5 of forms of tobacco. And unfortunately, we have the same
6 sort of lack of clarity with the recent exposure use.

7 CHAIRPERSON SCHWARZMAN: So that could account
8 for some of that very wide spread in the data.

9 DR. MANN: Right.

10 CHAIRPERSON SCHWARZMAN: Okay. Other questions
11 from the Panel for these two speakers?

12 Were these questions or comments from the
13 audience?

14 MS. READE: Hi. Anna Reade with the Natural
15 Resources Defense Council.

16 I'm curious about PFAS, the results that you had.
17 I noticed both for this study and then for the ACE study
18 that Me-PFOA seems to be at high detection levels in
19 California. But if you look at the national testing, it's
20 a very kind of low detection level of 20, 30 percentile.
21 Have you looked at all -- any clue as to why?

22 MS. CHRISTENSEN: Thank you. I'm going to invite
23 Kathleen to answer this.

24 DR. ATTFIELD: That's a question we'd like to
25 dive into deeper, but haven't yet. But I would flag that

1 we have a lower detection limit than NHANES does. So
2 that's going to probably play a large part of it.

3 MS. READE: Do you know what it was?

4 DR. ATTFIELD: I don't have that number off the
5 top of my head. I don't know if June-Soo would.

6 DR. ATTFIELD: The --

7 (Discussion off the record.)

8 DR. ATTFIELD: The -- sorry. The question was do
9 we know the, off the top of our heads, the detection limit
10 for methyl-PFOSA. I'm not remembering the full name.

11 MS. READE: I just was curious if it was a big
12 difference and it could be an explanation as to why?

13 DR. PARK: Yeah, it was big difference in terms
14 of detection limit between NHANES and us. One thing --
15 you know the very interesting thing was we also had data
16 we analyzed from 1967. Back then, PFOSA was kind of had a
17 higher detection frequency even though level was not very
18 high, but the trend switching to Me-PFOSA. So we really
19 love to see what has happened to those two compounds. As
20 Kathleen said, we like to seek for some answers for that,
21 but we didn't -- we haven't had a clear answer for the
22 trend.

23 MS. READE: Thank you.

24 CHAIRPERSON SCHWARZMAN: Robin, did you have a
25 contribution or you're just getting the microphone.

1 MS. CHRISTENSEN: Just getting the mic.

2 CHAIRPERSON SCHWARZMAN: Okay. We are just on
3 time. If there's no other questions, we will transition
4 at this point. I want to introduce Asa Bradman who's
5 going to be doing our next presentation. He's Associate
6 Director and Co-Founder of the Center for Environmental
7 Research and Children's Health in the UC Berkeley School
8 of Public Health. He's an expert in exposure assessment
9 and environmental epidemiology and leads studies of
10 vulnerable populations exposed to a wide range of
11 chemicals, such as pesticides, flame retardants, and air
12 pollutants. He's a past member of our Panel here and
13 Chair of the Scientific Guidance Panel. In 2017, he was
14 appointed to the USDA National Organic Standards Board.
15 And he'll be presenting initial results from the East Bay
16 Diesel Exposure Project.

17 Thanks for coming, Asa.

18 (Thereupon an overhead presentation was
19 presented as follows.)

20 DR. BRADMAN: Thank you so much for the
21 opportunity to present to the Panel and the Biomonitoring
22 Program, and public participants.

23 I will be talking about initial results from the
24 East Bay Diesel Exposure Project, which was a study
25 designed to look at exposure -- diesel exhaust exposure in

1 families here in the East Bay. There's a little bit of
2 replication here, redundancy with some of the information
3 that Jennifer presented. So I'm going to skip through --
4 or go quickly through some of the slides so we have more
5 time for discussion

6 --o0o--

7 DR. BRADMAN: Before we start -- before I start
8 that, I want to emphasize that I'm just one of really
9 dozens of people who worked on this project. And I want
10 to call out, especially Rosemary Castorina and Kelsey
11 Ranjbar who are here from our group at U.C. Berkeley, the
12 Center for Environmental Research and Children's Health,
13 and Sara Hoover and Duyen Kauffman, Russell Bartlett and
14 Dan Sultana from OEHHA, which worked -- have worked really
15 hard on this project. And then Chris Simpson and Michael
16 Paulsen from the University of Washington, who conducted
17 the laboratory analysis.

18 --o0o--

19 DR. BRADMAN: And then also other partners who
20 really helped with this project, Thomas Kirchstetter and
21 his students at the Lawrence Berkeley Lab helped us with
22 air sampling and monitoring tools. We also had a lot of
23 support and help from Ms. Margaret Gordon and Brian
24 Beveridge from the West Oakland Environmental Indicators
25 Project and also a lot of help from various Biomonitoring

1 staff, particularly the Environmental Health Laboratory
2 Branch. So this is really -- of all projects are very
3 collaborative and really could not have happened without
4 the support from all these people.

5 --o0o--

6 DR. BRADMAN: So our goals were to assess
7 exposures to diesel exhaust in impacted communities in the
8 East Bay; to compare exposures in parent-child pairs to
9 increase -- increase our understanding about exposure
10 patterns, so both within the household by looking at
11 parents and children, and then also over time and between
12 communities.

13 Like, CARE-LA, we'll also be looking at
14 predictors of diesel exhaust exposure, in particular truck
15 traffic and other traffic metrics.

16 We hope to generate some data that will help
17 evaluate the effectiveness of diesel regulations in
18 California. And we want to engage with the community and
19 policymakers about the study results. So we hope this
20 will inform future discussions on diesel -- diesel
21 regulation.

22 --o0o--

23 DR. BRADMAN: In terms of locations, our attempt
24 here was to enroll participants in the East Bay and
25 reflect kind of a variety a diversity of potential

1 exposures. Our primary focus was between Oakland and
2 Richmond, but we have a few participants north of Richmond
3 in areas where there's likely lower emissions and
4 exposures. In general, we followed areas along the major
5 freeway corridors including I-80, 580, and 880. We
6 enrolled 40 families and we'll hear more about that.

7 --o0o--

8 DR. BRADMAN: Just to give a sense, the areas we
9 chose to sample in were based on the CalEnviroScreen
10 indicators for diesel exhaust, emission, and exposure. So
11 this is a map of California with the darker areas showing
12 regions and census tracts with likely higher diesel
13 emission within those census tracts, and then by
14 implication likely higher exposure.

15 You can see here the dark colors are areas of
16 potentially higher exposure. And the lighter colors are
17 areas of lower emission and likely exposure. One thing I
18 want to emphasize here is that -- it's shaking here. I
19 don't know if we had an earthquake.

20 If we see here that the CalEnviroScreen indicator
21 is based on estimated emissions for one summer day in
22 2012. So just to understand that, one, that was seven
23 years ago, and two, that we may see seasonal or other
24 kinds of variations in exposure.

25 --o0o--

1 DR. BRADMAN: To drill down on that a little
2 farther, I just want to give you a sense of how our areas
3 played out in terms of likely exposure. You'll see here,
4 this is now -- if we look here, this is the -- it's not
5 me. It's only happening on one side.

6 MR. BARTLETT: It's the machine.

7 DR. BRADMAN: Okay. Maybe I'll point to this
8 one.

9 (Laughter.)

10 DR. BRADMAN: You'll see that we had a median
11 emission of about 33 kilograms per day within the census
12 tract that participants resided in, and that there was a
13 big range, as low as three and up to 76. And we looked at
14 our interquartile range, there's about a factor of two
15 difference here. So I think we were successful in
16 sampling participants from census tracts, where there's a
17 wide range of diesel indicators based on CalEnviroScreen.
18 And we'll be looking at that more carefully in terms of
19 exposure.

20 To drill down just a little bit farther, you can
21 see here in the north we tend to have lower ranges of
22 emissions and likely exposure. Here, we see three to 15
23 for El Sobrante, up to 18 for Pinole kilograms per day.
24 Whereas, when we look at West Oakland, for example, we
25 have 76, so much higher estimated emissions, and we

1 presume potentially likely exposure in those arenas.

2 --o0o--

3 DR. BRADMAN: I'm not going to spend too much
4 time on this slide. Just like the other slide, we -- the
5 other -- like the CARE-LA study, we also measured 6- and
6 8-hydroxy-1-nitropyrene metabolites in urine. And we also
7 took some measurements in air and dust. So we'll talk --
8 we'll talk more about that in a minute.

9 --o0o--

10 DR. BRADMAN: So study design. We enrolled 40
11 child-parent pairs. The children range from ages two to
12 ten years. So I want to note that this is one of the
13 first Biomonitoring California studies that enrolled young
14 children for biomonitoring purposes. We collected urine,
15 indoor air, and also dust samples from participants.

16 We had two sampling rounds about four to six
17 months apart, so we're able to look at repeat measures.
18 And, you know, we'll have a little more power there
19 statistically by having kind of longitudinal information.

20 Twenty-five of the families gave one sample for
21 the adult and child in each family at two time points.
22 For a subset of 15 families, we collected daily urine
23 samples for four days, so -- at each round of sampling.
24 So that is, I think, another interesting component of the
25 study that we'll actually be able to look at within and

1 between subject variability. The field work was conducted
2 between January 2018 and early 2019.

3 --o0o--

4 DR. BRADMAN: Information collected included an
5 exposure questionnaire, time activity information. We did
6 a home inspection. We used GPS loggers to record -- to
7 track where people spent time away from home for child and
8 also actually the adults too.

9 We left that out there.

10 We measured the urinary metabolites. We've also
11 talked about, and again, we measured these substances in
12 the parent compound in indoor air and dust. And we also
13 piloted the Lawrence Berkeley Laboratory instrument that
14 allows monitoring of black carbon. A much lower cost than
15 some of the other micro-aethalometers and tools out there.
16 So we also have some black carbon information.

17 --o0o--

18 DR. BRADMAN: In terms of our timeline, give you
19 a sense of where we've been and where we are. We
20 completed sampling in 2019 and shipped all those out to
21 the University of Washington. We spent -- we received
22 some preliminary data in the spring and summer and began
23 working with that. We also developed results return
24 materials and we've gone through our approval process by
25 our IRBs. And we've actually returned all the results to

1 participants -- individual participants. So that phase is
2 over and importantly sets the stage now for us doing --
3 planning community meetings and bringing this to the
4 larger East Bay community.

5 --o0o--

6 DR. BRADMAN: So in terms of analyses on data I'm
7 going to present today, we're not quite as far along as
8 the CARE-LA study, but we have some interesting
9 information. So we'll be putting -- presenting
10 information on demographics and selected exposure
11 characteristics in our population, descriptive information
12 about 1-nitropyrene metabolites summary, and also
13 differences between children and parents within and
14 between subject variability and changes over time. And
15 we've also looked at a few potential demographic
16 determinants, including income and race and ethnicity.
17 And then some information on the indoor air and dust
18 measurements. And we'll be giving a deeper dive in the
19 preview of what we're doing with quite complex GIS
20 analyses to inform our studies.

21 --o0o--

22 DR. BRADMAN: So demographically, in terms of the
23 parents, mostly mothers participated. Ninety-five percent
24 of the adults were women. Only five percent were men. If
25 we look at the ethnic breakdown, about -- we had a pretty

1 good diversity here with about 20 percent
2 African-American, 40 percent Hispanic/Latino and about 35
3 percent Caucasian, and smaller percentages for Asian,
4 Native American, or Pacific-Islander.

5 I want to emphasize here this does not add up to
6 a -- it adds up to more than 100 percent. For individuals
7 who self-identified in two categories, we just listed both
8 here, but we'll be thinking more about that for our
9 analyses. The average age of the parents around 36 years.

10 --o0o--

11 DR. BRADMAN: In terms of education, fairly well
12 educated group that ultimately participated. Sixty
13 percent with college or graduate degree, 80 percent with
14 some college or a college graduate degree, and 20 percent
15 with a high school or diploma. About 20 percent of
16 participants had income 0 to 25,000; 40 percent 25 to 75
17 thousand; another 40 percent over 75,000.

18 I think this income distribution reflects the
19 education demographics in the population that ultimately
20 participated.

21 --o0o--

22 DR. BRADMAN: For children, we had better gender
23 balance, about half and half, girls and boys. Ethnicity
24 breakdown is similar. Although, in some cases parents
25 identified ethnicity for their children differently,

1 depending on the ethnicity or race of their partner. So
2 again, this adds up to more than 100 percent, but -- and
3 again, people often listed more than one category for
4 their children.

5 Most of the children were two to five years old,
6 about 80 percent. And then we had a few children -- older
7 children up to ten years within an average age of about
8 four and a half. So we were successful in getting
9 relatively young children for this project.

10 In terms of potential exposure characteristics
11 that we'll be looking at in the future, parents, about
12 little less than half, reported working at home. So we're
13 spending less time away from home. About a little bit
14 more than half reported working outside of the home. So
15 again, it will be important for us when we look at
16 exposure determinants to consider the different locations
17 that they're spending time at.

18 About 30 percent reported some work with or
19 around diesel equipment or diesel sources. We'll be
20 looking at that in more detail. And among the children,
21 about 70 percent reported spending time in school or child
22 care. So again, it will be important for us to look at
23 potential exposure determinants for those locations. We
24 had very few participants reporting smoking at home, only
25 three percent. So I think that's going to be less of an

1 issue for us in our analyses --

2 --o0o--

3 DR. BRADMAN: -- which I think is good news that
4 for families with children we had very few smokers.

5 I'll just go through this very briefly. We're
6 going to be using the same units and the same specific
7 gravity adjustment parameters that was reported for
8 CARE-LA So we'll skip this slide to save some time.

9 --o0o--

10 DR. BRADMAN: So here's some descriptive
11 information for the 1-nitropyrene urinary metabolites.
12 And some of the things that kind of I want to highlight
13 here. One is we have, you know, very high detection
14 frequencies. So this is a substance that's quite common
15 among our participants.

16 Another point here, if you look at either our
17 medians or geometric means, they're actually -- in
18 particular, start with the adults, there's -- they're
19 substantially higher than we saw in the CARE-LA
20 population. I think the median or geometric mean was
21 around 120 there. We're seeing, you know, levels over 200
22 for 6 metabolite and 160 for the 8 metabolite. The
23 children also were higher than the CARE-LA adults. So I
24 think that's an interesting distinction here. In this
25 population, it may reflect potentially higher exposures.

1 Another point here is that you'll see that 6
2 tends to be higher than 8, and that the parents tend to be
3 higher than children. And up in the upper range, you
4 know, we see some -- some participants with relatively
5 high exposures.

6 --o0o--

7 DR. BRADMAN: This is a visual image of the adult
8 compared to children. And again, you can see here that
9 based on the boxplots, particularly for the 6 metabolite,
10 parents tend to be higher in children. Although, there's
11 substantial overlap in the distributions. And for 8-OHNP
12 we tend to see less -- less difference.

13 --o0o--

14 DR. BRADMAN: So we also looked at the internal
15 correlation of the 6 and 8 metabolites, both within the
16 children and adults and also between the children and
17 adults. And we also find, you know, high correlations
18 between the 6 -- the 8 metabolites and the 6 metabolites
19 in both groups. We did look at this by ethnicity and did
20 not see major differences based on Caucasian, or White, or
21 other category. So that's something we'll need to look at
22 more carefully.

23 And if we look at the relationship between adults
24 and child, we have some statistically significant results,
25 because we have relatively high numbers here, but the

1 actual correlations were relatively weak, so not
2 apparently a big connection between what's going on in the
3 parents and adults.

4 --o0o--

5 DR. BRADMAN: This slide summarizes within and
6 between subject variability. I think this is really
7 important information that we should have on all urinary
8 biomarkers. So I'm going to try to walk everyone through
9 this slide. Sometimes this can be a little confusing.

10 I'm going to start with what we call the
11 interclass correlation coefficient. So that's a measure
12 of correlation and agreement between samples collected
13 over time. And these have an ICC is a little bit under
14 four. If they were perfectly correlated and similar, it
15 would be close to one. So this shows that over a short
16 time there's relatively high variability and they're not
17 well correlated over a short time.

18 This is a little bit better than what we see say
19 for DAPs, the dialkyl phosphate metabolites, from
20 pesticides. So high variability here. And if we look at
21 the proportion of variance within each group that we can
22 attribute it to between or within subject variability, we
23 see that within subject variability is higher than between
24 subject variability.

25 So those epidemiologists here, just a reminder,

1 that single measurements of urine samples are not going to
2 characterize long-term exposure. And these numbers are
3 consistent with the urinary biomarker with a half-life of
4 12 to 15 hours, which I think has been reported for
5 1-nitropyrene. Just a reminder another highly variable
6 urinary biomarker.

7 --o0o--

8 DR. BRADMAN: This graph shows levels for adults
9 of the two metabolites, the 6 and 8 metabolites over time.
10 A couple things that I think we see here. One, they tend
11 to track each other in terms of direction over time. We
12 see somewhat higher levels during this winter sampling
13 period. And that may be in part due, for example, we
14 heard about the potential for winter inversions, where we
15 often see higher pollutants. Then, of course, as we look
16 at this in more detail, there may be periods when we have
17 rain or other events, you know, during the winter that may
18 clear out the air. So that's something we'll be looking
19 at it in more detail in our statistical analysis.

20 --o0o--

21 DR. BRADMAN: If we looked at the children, we
22 find kind of a similar trend, at least somewhat higher
23 levels also in this later winter period, a little bit less
24 variability and also generally lower levels. So these now
25 will be something we hope to look at in more detail.

1 --o0o--

2 DR. BRADMAN: When we look at the relationship of
3 the metabolite levels into -- in relation to some
4 demographic variables, we don't see anything significant
5 in terms of ethnicity. Although, and this I'm a little
6 surprised at, we tend to see higher levels among parents
7 who had higher income. And that is something we're going
8 to have to look at more carefully.

9 --o0o--

10 DR. BRADMAN: In terms of the children, we don't
11 see any, you know, patterns really in any direction in
12 terms of levels with respect to ethnicity or family
13 income.

14 --o0o--

15 DR. BRADMAN: So this is really new information.
16 I don't think anyone has yet published information on
17 1-nitropyrene in dust. Here, we have levels in air and
18 levels in dust. Some of the things that kind of jump out,
19 or at least to me they jump out, and are exciting about
20 this data is that, one, we detected these materials, and
21 Dr. Simpson was able to really pioneer methods to measure
22 1-nitropyrene in dust. We have relatively high detection
23 frequencies of 1-nitropyrene in the indoor environment,
24 about 80 percent detection in air, and about almost 100
25 percent detection in dust.

1 So that underscores that the indoor environment
2 is going to be an important pathway for exposures. And
3 may be material, and dust, or other surfaces can be --
4 could be another source of exposure, pathway of exposure,
5 we have to think about when we're also looking at
6 inhalation or air or other predictors. And they were
7 actually moderately correlated, 0.46, and they were
8 statistically significant. So there appears to be some
9 relation to what's in the air and what's in the dust.

10 So there might be an issue here also kind of like
11 thirdhand smoke exposures where residues from diesel
12 exhaust get it on the surfaces in indoor environments.

13 --o0o--

14 DR. BRADMAN: So to drill down a little bit on
15 some of the GIS analyses we'll be doing. This reflects --
16 I'm not expecting everyone to read all these data sources
17 and memorize them. But the point here is that we'll be
18 using a lot of different GIS-based information that can
19 give us ideas about what may be important particulars of
20 exposure.

21 So we have the Highway Performance Monitoring
22 System that Jennifer Mann talked about. We'll have
23 information on bus stops, truck networks, railway
24 crossings, we'll be looking at railway lines, port
25 information. So just to underscore there's a lot of

1 information that will be going into these analyses.

2 --o0o--

3 DR. BRADMAN: And just to kind of highlight some
4 of these, that just popped out in bold there, Russ
5 Bartlett spent a lot of time mapping this to kind of give
6 an indication of the -- really variability in potential
7 sources that we'll be looking at in our analyses. You'll
8 see here that the bright red lines are the major freeways,
9 880 and 580. Of course, 580 also has relatively less
10 truck traffic because of local regulations.

11 You see these brown spider webs here, those are
12 kind of the major secondary roads that we're able to map
13 and look at traffic in relation to our residents. And
14 then you'll see lots of little green diamonds. And those
15 represent BAAQMD permitted emission sources. And that's
16 something we're going to be spending time trying to
17 understand how those point sources or stationary sources
18 may contribute to exposure. It could be a gas station.
19 It could be a truck stop, where there's a gas station but
20 a lot of trucks going through them. They can also be
21 things like an auto body shop where we wouldn't expect
22 diesel. They can also be things like a diesel generator
23 that is being used by a retail store as backup, given our
24 recent episodes with PG&E. And there we have a permitted
25 diesel source, but it's probably on -- if at all, it would

1 be on very rarely, we hope. So that's something we need
2 to look at more -- more carefully.

3 --o0o--

4 DR. BRADMAN: Again, also with the logger data,
5 we'll have, rather than just questionnaire information,
6 we'll actually have time-stamped information on where
7 people spent time outside the home and in transit.

8 --o0o--

9 DR. BRADMAN: So here's an example of simulated
10 data, not actual data. So somebody living in Richmond may
11 be spending time on the highway getting to Oakland, going
12 to day care, and we can look at that in terms of time on
13 the freeway. So that should be very interesting.

14 --o0o--

15 DR. BRADMAN: So just to summarize some of the
16 challenges we're dealing with. And Jennifer Mann
17 mentioned the -- their analyses to look at both 500 meters
18 what they presented, but also look at other buffers.
19 We'll be doing something similar. We'll be looking at
20 daily count information from the U.S. Highway Performance
21 Monitoring System. And we plan to compute the same
22 parameters that she mentioned, daily vehicle kilometers
23 traveled in different buffer zones, includes the 500, but
24 also 1,000 and 2,000 meters to get -- to see if we can
25 understand how important local land use is.

1 And in a way, there's going to be an exploratory
2 analysis to define what's the optimal buffer size. I
3 think Dan will be doing that for all vehicles, buses, and
4 commercial trucks and also tractor-trailers.

5 --o0o--

6 DR. BRADMAN: Just to give you some numbers on
7 this and perhaps some of the challenges. I don't expect
8 everyone to mention this, one thing to note is just how
9 big the numbers are. You know -- can everyone hear me?

10 One thing that I think is just interesting here
11 is how big some of the numbers are within a -- you know,
12 two kilometers of the house, we have millions of
13 kilometers traveled per day by vehicles. But just to
14 highlight an example here with tractor-truck trailers,
15 you'll see we had a median of about 500 when we looked at
16 500 meters. And that ranged from 200 to about 4,000, so
17 about a factor of 20 there.

18 When we look at a bigger buffer area, we have a
19 much bigger number, about 24 or 25 thousand. And the
20 range there was from 19,000 to 30,000 And if we look at
21 the ratio here, here the ratio from the 75th to 25th
22 quartile is about 1.5. Up here, it was about 20. So just
23 to make the point that if we make our buffers too big,
24 we're just going to average out land use in the area and
25 we're not going to have variability. So that's something

1 that we're going to be able -- have to look at much more
2 carefully statistically.

3 --o0o--

4 DR. BRADMAN: So just to summarize the GIS
5 analysis plan, we'll be looking within each buffer traffic
6 volume. We'll also identify rail and maritime sources,
7 and also identify stationary sources, and look at the --
8 look at associations between these sources and the -- both
9 the metabolite levels and also indicators of indoor
10 contamination, including the air and dust measurements.

11 --o0o--

12 DR. BRADMAN: Some innovative pieces of this
13 presentation just of this study to highlight was, one, we
14 measured the metabolites in urine again, which is new for
15 Biomonitoring California. We have samples collected at
16 two time points. We'll be able to leverage the strength
17 of a longitudinal study design to look at especially
18 time-varying variables, like impacts of weather. We
19 collected daily samples to get information on within
20 subject -- or within and between subject variability. And
21 we also collected environmental samples, which I think
22 adds strength to the information we'll get from the
23 biomonitoring.

24 --o0o--

25 DR. BRADMAN: So next steps to kind of -- I don't

1 want to repeat everything I just said. But again, we'll
2 be looking at these work-related exposures, looking at
3 predictors. We'll also consider household combustion
4 sources as a potential confounder particularly because of
5 these findings with smoking. Perhaps other combustion
6 sources may be important like gas stoves, or grilling, or
7 things likes that.

8 We'll be accounting for time activity pattern,
9 time spent in transit, and in fixed locations like work
10 and child care. And then we'll be also taking a deep dive
11 into other factors that may influence exposure and using
12 perhaps, for example, air quality as a surrogate of
13 potential diesel exposure and also considering
14 meteorological information like recent rain.

15 So anyway, we have a rich -- rich data set here
16 to better understand diesel exhaust exposures to
17 potentially inform strategies to reduce exposures.

18 --o0o--

19 DR. BRADMAN: I want to thank particularly all
20 the families for participating in addition to our
21 partners. They really put a lot of effort into this
22 study.

23 And we hopefully we'll have some time now for
24 questions and discussion. I hope I'm on time.

25 CHAIRPERSON SCHWARZMAN: You are, Asa. Thank you

1 very much. It was an excellent presentation. And we're
2 actually a little ahead of schedule.

3 DR. BRADMAN: Great.

4 CHAIRPERSON SCHWARZMAN: So we can resume a more
5 leisurely discussion. So we have ten minutes now for
6 questions, and then -- or actually, we have a little more
7 than that, if we need it. And then we'll have an hour for
8 discussion of all of the morning's -- the topics that came
9 up in all of the morning's presentation. I wanted to
10 ask -- oh, sorry, Duyen.

11 MS. KAUFFMAN: Sorry, I just have one. Duyen
12 Kauffman at OEHHA. I just have one quick correction. We
13 inadvertently left off two members of our team at EHL. So
14 I just wanted to name Josie DeGuzman and Julian Perez who
15 managed all of our samples, measured specific gravity, and
16 creatinine and sent -- aliquoted and sent all the samples
17 off to the University of Washington. So, yeah, we
18 couldn't have done it without them.

19 DR. BRADMAN: Thank you, Duyen. Yeah, again,
20 this was really a team project. I'm just the tip of the
21 iceberg here.

22 (Laughter.)

23 CHAIRPERSON SCHWARZMAN: It's really exciting to
24 hear about this project. And there's so many interesting
25 things about this study design. And one thing I wanted to

1 ask about is one thing that you highlighted which is the
2 within and between subject variability. And just to
3 confirm what I think I heard you say is that with further
4 analysis, you're going to be able to delve into that to
5 essentially control for, or at least look at the impact of
6 seasonal variability and specific meteorological events,
7 like rain. Because I'd be very curious to see how much --
8 if you can determine how much that within-subject
9 variability decreases if you could control for those
10 events.

11 DR. BRADMAN: Exactly. I mean, you hit it right
12 on the head there. We have, what I'm calling, kind of six
13 variables, like the traffic metrics. You know, those are
14 based on 217 HPMS traffic counts. And that's going to
15 be -- that's going to be a fixed number. And I would
16 suspect if we looked at our pilot study, for example, a
17 few years ago from Salinas and Oakland, you know, where
18 there's more traffic, there's more exposure.

19 However, there may be, you know, individual
20 factors/events that drive, you know, short-term exposure
21 and probably relate to our high variability, such as, you
22 know, an abrupt change in meteorology. And we could have
23 a situation where a storm comes in and we clean out, you
24 know, all the pollution, so levels may go down. They --
25 on the weekends, perhaps, there's less exposure. You

1 know, we'll be looking at that. They spent a day in a
2 park or away from home. We'll be able to look at that
3 carefully.

4 One interesting thing too about considering
5 meteorologic data, if we have an inversion, for example,
6 you know, we have kind of a lid on our air here, and so we
7 have a general increase in air pollutants. And maybe
8 that's actually going to spread out. I'm curious to see
9 if maybe when we have better air, we'll have stronger
10 association say with proximate sources, like traffic,
11 because they'll be getting exposed more immediately from
12 what's around them, rather from general soup that's being
13 kind of held down by an inversion. So I'm hoping that we
14 can look at that more carefully.

15 CHAIRPERSON SCHWARZMAN: Interesting. And I
16 wonder if it's going to help us understand when there are
17 not repeat measurements and we're only comparing between
18 individuals, if that will help us understand instead of
19 concluding that everything is determined by location, if
20 we can start using the variables that you identify as some
21 of the biggest indicators or determinants of within
22 individual variability, if we could apply those to then --
23 to studies where we're looking at between individual
24 variability like CARE-LA and then trying to compare
25 results from CARE-LA to another CARE region --

1 DR. BRADMAN: Right.

2 CHAIRPERSON SCHWARZMAN: -- if we can understand
3 what variables to add in to help understand differences
4 between regions --

5 DR. BRADMAN: Right.

6 CHAIRPERSON SCHWARZMAN: -- where we're only
7 looking at a single measurement.

8 DR. BRADMAN: Yeah. I mean, I think we can
9 inform cross-sectional analyses from a study with repeat
10 measures. The repeat measures -- unfortunately, it also
11 makes things a lot more complicated. But I think that
12 we'll be able to, you know, drill down and see what -- you
13 know, really what are the key variables and if our study
14 design is able to reveal that. So there hasn't been that
15 much work done yet with this biomarker.

16 CHAIRPERSON SCHWARZMAN: It's really promising.
17 It's an exciting study design in that way.

18 Other questions from the Panel?

19 Jenny.

20 PANEL MEMBER QUINTANA: Thank you for that.
21 There's a lot of really interesting work that you've done.
22 I guess my first thought was there seems to be more
23 variables that you have to look at than you have subjects
24 unfortunately. I hope that you're going to pursue more
25 funding to expand the number of subjects and continue this

1 work with a larger sample size.

2 DR. BRADMAN: Can I respond to that. You make a
3 good point there. But also note that because we have the
4 repeat samples on the subset of 15, we actually have a lot
5 of samples. So we have, you know, over 300 samples. So
6 even though we don't -- we have a relatively few number of
7 families, I'm hoping that with having so many samples, and
8 particularly over time, that may actually add statistical
9 power that will make up for a somewhat lower population
10 sizes.

11 PANEL MEMBER QUINTANA: My other comment was, it
12 seems, just looking at the map and some of your data, that
13 you have relatively few, what I would call, unexposed or
14 low exposed people in your data set. And that's kind of
15 borne out by the levels relative to the CARE-LA I think
16 these are -- they seem to be, just on the face of it,
17 skewing towards more highly exposed individuals. And I
18 was wondering if you could comment on that.

19 DR. BRADMAN: That might be true. I mean, if you
20 saw, we attempted to recruit participants from areas where
21 there was at least a wide range of exposure -- potential
22 exposure indicators from the CalEnviroScreen maps.

23 And if you go back to that slide, you'll see,
24 based on CalEnviroScreen for individual census tracts that
25 our participants resided in, there was a fairly wide range

1 of estimated diesel emission and potential exposure. But
2 it's true, I mean, we've thought about this. It would be
3 interesting to also sample, for example, in Bolinas, or
4 Pacifica, or, you know, somewhere where there's very low
5 traffic, and also, you know, maybe right off the ocean, so
6 land -- other land use -- uses may not be contributing to
7 exposure.

8 I mean, our focus here was the East Bay as part
9 of the Diesel Exposure Project, given our funding and
10 resources. But I agree, it would be interesting to get a
11 better sense of geographic variability.

12 PANEL MEMBER QUINTANA: And it also seems like
13 participants -- this is not a criticism at all, because
14 it's tremendous what you've done. Very difficult work in
15 getting dust samples and air samples. So it's just a
16 comment, more that participants do seem to have slightly
17 more education than I would expect and lower rate of
18 secondhand smoke exposure. So I would love another study
19 that would catch more participants in the net, I guess, in
20 these neighborhoods.

21 DR. BRADMAN: I agree with that. And that -- and
22 I'm surprised actually to see those demographics in the
23 end. But I agree, that's something we can do some more
24 work with. This was really a pilot study and we had
25 limited resources. I'd like to do more outreach to

1 Hispanic communities and other regions in the East Bay.
2 And then again, I think we should -- more geographic
3 diversity.

4 We have the information from CARE-LA, which is
5 still primarily an urban area. So making some comparisons
6 to an area where we'd really expect lower exposure would
7 be interesting.

8 PANEL MEMBER QUINTANA: Thank you for your great
9 work.

10 DR. BRADMAN: Thanks.

11 CHAIRPERSON SCHWARZMAN: By contrast sort of
12 pursuant to the discussion of excluding smokers, it's --
13 this almost does unintentionally. So it's interesting to
14 see those results.

15 DR. BRADMAN: Right. And I think also the low
16 smoking reflects that we had families with kids. And I
17 think people with kids are starting -- are getting the
18 message that smoking is not a good thing.

19 CHAIRPERSON SCHWARZMAN: Other questions from the
20 Panel for Asa?

21 PANEL MEMBER SUÁREZ: I have one.

22 CHAIRPERSON SCHWARZMAN: Okay.

23 PANEL MEMBER SUÁREZ: I think it's a very
24 interesting study. I think I'm really excited to hear
25 more of what -- how the main results turned out. I had

1 question about -- could you just remind me
2 methodologically, what's the half-life of the metabolites
3 again?

4 DR. BRADMAN: Based on, well, the level of
5 variability, we've seen also some information published by
6 Dr. Simpson, it seems about 12 to 14 hours, 12 to 15
7 hours. So like many urinary biomarkers, many pesticides,
8 it seems to go through fairly quickly.

9 PANEL MEMBER SUÁREZ: Right. Right. Right. And
10 that makes sense with the higher within individual -- than
11 between individual variability.

12 Let me see. I think also -- I mean, based with
13 the previous presentation where there was some interesting
14 findings or unexpected findings about, for example, time
15 on the freeway where that was actually associated with
16 lower levels of metabolites. I think since now you're
17 going to be having GPS information, that could be kind of
18 diving in a little bit deeper there to see what -- what's
19 going on with that piece. So I think that's really
20 exciting.

21 Who's -- just out of curiosity, who are you
22 collaborating with to do those geospatial analyses?

23 DR. BRADMAN: Really OEHHA. Russ Bartlett here
24 is really helping with the GIS analyses. And then we have
25 some support for Bob Gunier who's in our group and is an

1 expert on GIS analyses. And then we also have connections
2 to Mike Jarrett and others to advise us. So we have a
3 pretty good network with that.

4 PANEL MEMBER SUÁREZ: That's fantastic.

5 I had one more question. Let me see if I can
6 remember it here. Oh yeah, about the size of the buffer.
7 I think -- I think I agree with you with the size of
8 the -- the constructs I like, so 500 meters, 1,000 meters.
9 And then that same question about what exactly does the
10 2,000 meter buffer tell you? I mean, I think the main
11 point here of these analyses would be more of thinking of
12 the background exposures at home or close by where people
13 are walking or hanging out, right?

14 DR. BRADMAN: Right.

15 PANEL MEMBER SUÁREZ: And then when we think
16 about two kilometers, well, that's a good -- a good
17 distance, right, of over a mile that you're looking at.
18 And so it's coming back, I think, to me as to what exactly
19 we're trying to understand with these buffers --

20 DR. BRADMAN: Right.

21 PANEL MEMBER SUÁREZ: -- and looking at the
22 differences between the 25th and 75th percentile. Indeed,
23 it seems like maybe looking at the other, the 500
24 1,000 meters that I wonder if it's worthwhile even making
25 the buffers just a little bit smaller just for sensitivity

1 analyses.

2 DR. BRADMAN: Right. Well, I think that's
3 something we can all consider. Yeah. We've had some
4 discussions about that. And, I mean, as you can see, if
5 we get too big, we're just -- kind of we have a generic
6 background exposure, but -- so that's something that I
7 think would be interesting to look at.

8 CHAIRPERSON SCHWARZMAN: Can I ask a question
9 about related to that, are these buffer distances
10 determined because of the way that the survey is done by
11 the Department of Transportation?

12 DR. BRADMAN: No.

13 CHAIRPERSON SCHWARZMAN: No.

14 DR. BRADMAN: It basically is convention. We --
15 in Salinas we've done this for pesticides. In the pilot
16 project we did on diesel exhaust for this group a few
17 years ago, we kind of chose similar boundaries. And in
18 different studies I've seen people go even larger. You
19 know, I haven't seen smaller, but I think that's kind of
20 an exploratory analysis that could inform both, you know,
21 our findings and future study designs.

22 CHAIRPERSON SCHWARZMAN: I feel like I've heard
23 about literature that has looked not at human exposure,
24 but at like PAH deposition with distance from major
25 roadways. Do you know how that relates to these buffers?

1 Because I think there's a pretty quick drop-off is my --

2 DR. BRADMAN: Right.

3 CHAIRPERSON SCHWARZMAN: -- just off the top of
4 my head recollection.

5 DR. BRADMAN: Right. I mean, that would be
6 interesting to look at.

7 CHAIRPERSON SCHWARZMAN: Like in less -- pretty
8 quick, like less than 500 meters --

9 DR. BRADMAN: Yeah. Yeah.

10 CHAIRPERSON SCHWARZMAN: -- pretty significant
11 drop-off.

12 DR. BRADMAN: That's something we should look at.
13 I mean, these are particle-associated compounds. And I
14 know like work done by Rob McConnell at USC, in general,
15 he tends to see that over about 1,000 feet, or 300 meters,
16 air pollution levels generally go to background levels.
17 When you're looking at a major source like more than 1,000
18 feet from a freeway or 300 meters from a freeway, by the
19 time you get about that, you know, fifth of a mile away,
20 they air pollution levels tend to approach background
21 versus local influence. So that actually might be an
22 argument to look at smaller buffer areas.

23 CHAIRPERSON SCHWARZMAN: That's what I was
24 thinking of that it's quite smaller than 500. And Kathy
25 Hammond's group, I think, has some of that stuff right at

1 the tip of their hands.

2 DR. BRADMAN: Okay. Well, I'll contact her.

3 CHAIRPERSON SCHWARZMAN: Yeah. Yeah.

4 PANEL MEMBER QUINTANA: I have a question.

5 CHAIRPERSON SCHWARZMAN: Yes, Jenny.

6 PANEL MEMBER QUINTANA: Sorry. I just want to
7 add a quick addition to that comment is that if you look
8 at the reviews of how quickly pollutants drop off from
9 roadways, the studies are almost all done during the day.
10 So we do find a pretty quick drop-off within 180 meters or
11 something for a lot of pollutants. But they have done
12 studies showing at night, when you have these inversion
13 layers, they tend to go a lot further when people are at
14 home. So I think you have to take some of those studies
15 with a grain of salt, because of this bias towards daytime
16 studies where you have better mixing.

17 And then it also means that perhaps home type,
18 and home ventilation, and home penetration might be even
19 more important. So it looks like you have that kind of
20 information, which is great.

21 DR. BRADMAN: Right. We don't actual ventilation
22 measurements, but we do have -- I think we have the indoor
23 air levels of 1-nitropyrene. We also have the black
24 carbon levels. And I think that can provide an indicator
25 of outside penetration, because theoretically black carbon

1 in the house is only coming from outside.

2 CHAIRPERSON SCHWARZMAN: And it's cool that you
3 have the inside data because of increasingly in our region
4 more and more people have air purifiers inside in fire
5 season.

6 DR. BRADMAN: Right.

7 CHAIRPERSON SCHWARZMAN: But having the indoor
8 air measurement actually, and dust measurements works with
9 that.

10 You had a question or comment.

11 PANEL MEMBER HOH: I have a question about how
12 you measured the indoor air and dust. Would you explain
13 how to measure them, like the sample collection, you know,
14 what's the timeline and --

15 DR. BRADMAN: Sure. So for the air samples, we
16 collect them at the first visit. And then we looked at --
17 and I'm sorry, the first and second visit.

18 MS. HOOVER: That's dust.

19 DR. BRADMAN: Yeah, I'm confusing dust and air.

20 For the air samples, we collected them at both
21 time periods. And when we went into the home -- we did
22 our consent for at least the first visit and second visit.
23 We went into the home we set up the air monitors. These
24 air monitors are devices that were developed by Tom
25 Kirchstetter at LBL as kind of a low-cost black carbon

1 monitoring system. So they have a filter and then there's
2 an optical measure of black carbon deposition on the
3 filter. And that's run and gives real-time data based on
4 optical -- optical response over the three- to four-day
5 period we had them in the home.

6 And then we took those filters -- the filters
7 were filters that you might use, for example, for
8 gravimetric methods for particulate matter. We took those
9 filters and then shipped them to Dr. Simpson at the
10 University of Washington. And then he met -- extracted
11 and measured them for 1-nitropyrene.

12 For the dust, we simply used -- in most cases, we
13 asked for a vacuum canister bag or if they had a bagless
14 vacuum cleaner, we dumped the material into a bag, and
15 then a -- and in one case I think we swept up dust. So
16 the dust sampling collection is much less systematic.
17 It's not like we did, you know, vacuum samples on that --
18 just that day or wipe samples. So it could be that
19 somebody changed their vacuum bags six months before or,
20 you know, two weeks before.

21 And that was kind of an inherent limitation in
22 dust and air kind of some things -- some things we kind of
23 added on with minimal resources to the study. But as you
24 can see, we have some informative information.

25 CHAIRPERSON SCHWARZMAN: We have basically

1 reached the time where we get to open this up to a
2 discussion of all of the morning's sessions, which are
3 related.

4 And just to start people's thinking, I want to
5 mention three things -- topics that I kind of heard come
6 to the surface of some of the discussion already. One is
7 the inclusion or exclusion of smokers and people exposed
8 to passive smoke, and how including our excluding those
9 populations affects your ability to see other
10 variations -- sources of variations in exposures.

11 A second topic is the information from the EBDEP
12 study about within individual variability and what we
13 might learn obviously from subsequent analyses of those
14 data that we could apply to CARE-LA data on diesel
15 exposures.

16 And the third topic that's just come up is the
17 issue of determining buffer size and that's being used
18 within the CARE-LA study also. And I know there's a lot
19 of cross-talk in staff between those two studies, so that
20 all is going to happen anyway, but just as sort of a topic
21 that's come up.

22 And then I also just want to say, because diesel
23 has been prominent in the last two presentations, to
24 remind us that there is -- for points of discussion here
25 that we also had details and results presented on the

1 metals in the CARE-LA study, and PFAS, and phenols --
2 environmental phenols.

3 So all of that is fair game for discussion at
4 this point. And I want to check in, since we've had
5 plenty of opportunity for input from the room -- I can do
6 then again before the end of the discussion period, but
7 just to find out whether there's any questions or comments
8 from the web that we should pull in now?

9 MS. KAUFFMAN: No.

10 CHAIRPERSON SCHWARZMAN: So I want to invite
11 anybody listening to the webcast to send questions or
12 comments to biomonitoring@oehha.ca.gov. And I'll make
13 sure to check in before we break for lunch again about
14 input on the web.

15 So anybody want to start us off in terms of the
16 discussion of those that -- from the topics that have
17 arisen from these three presentations.

18 Please.

19 DR. SIMPSON: Thank you. Chris Simpson,
20 University of Washington again. I wanted to share some
21 thoughts regarding the -- how to think about the smoking
22 from a scientific perspective and relationship to the
23 1-nitropyrene. One might be concerned that perhaps
24 cigarette smoke would be a potential source of
25 1-nitropyrene.

1 In fact, the literature really doesn't support
2 that idea. So IARC, for example, when they did their
3 monograph on the carcinogenicity of diesel exhaust and the
4 nitro-PAHs, they reviewed the literature and they did not
5 find evidence for 1-nitropyrene coming from cigarette
6 smoke at that time. And further, they made the statement
7 that they thought that that would be improbable, because
8 the chemistry of cigarette smoke is reducing and
9 1-nitropyrene is actually a product of oxidation.

10 However, the enzymes involved in the metabolism
11 of the PAHs, such as 1-nitropyrene and the PAHs in
12 cigarette smoke, there's a lot of similarity between those
13 enzymes. And it's quite possible that certainly chronic
14 cigarette smoking and potentially even secondhand smoke
15 exposure would influence the activity of those enzymes,
16 either by upregulating or downregulating those enzymes,
17 which would influence -- potentially influence the
18 metabolism of the 1-nitropyrene.

19 So it may be that the cigarette smoke is not
20 acting as an additional source of 1-nitropyrene, but it is
21 affecting the individual's ability to metabolize and
22 intersecting what we would see in that urine. So that --
23 that would be something for the epidemiologists to think
24 about, in terms of how mathematically they would want to
25 try and handle those specific possibilities.

1 MS. HOOVER: Hello. Sara Hoover, OEHHA.

2 Smoking is a really interesting question in this
3 case. And thanks to Chris for pointing out the metabolism
4 issue. I actually did -- as part of developing our fact
5 sheet, I also came across the literature that indicated it
6 was not likely a source, but I delved a little more deeply
7 into the literature. And I'll just say a few things about
8 what I found, because I think there's some question about
9 that.

10 So there was a study that compared levels of
11 1-nitropyrene measured in indoor air in smoking homes and
12 non-smoking homes. And they showed that it was higher in
13 smoker's homes compared to non-smoker's homes and it
14 didn't matter the type of heat or stove that the
15 non-smokers had. It was higher in -- regardless of the
16 type of heat, like electric heat, electric stove, gas
17 heat, gas stove, for the smokers levels were higher. So
18 that's a little interesting tidbit.

19 And actually, there's this huge encyclopedia that
20 I came across, which is also interesting, called the
21 *Chemical Components of Tobacco and Tobacco Smoke*. And
22 these authors Rodgman, Perfetti, et al., they've actually
23 spent I think their -- much of their career tracking all
24 literature on everything every reported as a component of
25 cigarette smoke. So I believe -- and, you know, I don't

1 have all the details for you, but I will certainly be
2 developing this more. But I believe this was actually an
3 unpublished study from U.S. EPA. And they did find in
4 cigarette smoke condensate, they did find 1-nitropyrene.

5 And that I think didn't get into the published
6 literature. Which is part of the problem of looking at
7 the published literature, you might miss things that have
8 been developed by people who don't get their results into
9 the literature, which is what occurred with these authors.

10 The other really interesting thing that I came
11 across and caused us to put secondhand smoke on as a
12 potential source on our fact sheet for 1-NP is that you
13 can form in the air. You can form 1-NP in the air. So I
14 had the concept of, even if it wasn't in mainstream smoke,
15 you might, in certain atmospheric conditions, form
16 1-nitropyrene as a result of tobacco smoking. So there's
17 a little bit of evidence to support that, that they can
18 certainly form in the air.

19 The other really odd thing that I came across,
20 which was also really interesting, and the World Health
21 Organization highlighted it as a potential pathway for
22 nitro-PAHs, and they said, "Other less important pathways,
23 which are briefly mentioned here, include endogenous
24 formation of nitro-PAHs in the body due to reaction of
25 PAHs ingested in food or inhaled in ambient air with

1 nitrogen dioxide, for example cigarette smoke".

2 So this has been an interesting and strange
3 little experiment in animals, where they did show that
4 formation in the body. So I do think it's possible that
5 cigarette smoking or tobacco use could be an actual source
6 of 1-nitropyrene in various ways, but the metabolism point
7 is also well taken.

8 DR. BRADMAN: Also, if we're looking at hepatic
9 metabolism versus metabolism in the lung, perhaps a smoker
10 would have a number of induced, you know, metab -- you
11 know, enzymes in the lung that may act more strongly on
12 1-nitropyrene say than if it's been ingested and come
13 through the first pass. So maybe that's -- it could be a
14 factor too or might explain some of the things that Chris
15 mentioned.

16 CHAIRPERSON SCHWARZMAN: Jenny.

17 PANEL MEMBER QUINTANA: I'll just throw out
18 another additional theory. It's possible that smokers who
19 have a reduced ability to clear particulates, you know, by
20 paralyzing defense mechanisms, might also get a bigger
21 dose.

22 That's completely unsupported. I'm just saying
23 that.

24 But I just wanted to throw out in terms of
25 smoking that we should also be thinking in California now,

1 because we can now ask about marijuana smoking, which
2 previously was a very sensitive topic. But if you're
3 having combustion sources, kind of like to open it up to
4 perhaps recording marijuana smoking and even E-cigarette,
5 other -- opening up what we record in that dimension might
6 be potentially useful.

7 And don't forget we also have a way to look at
8 cotinine in the urine or other things, MNAL in urine, are
9 interested in what kind of secondhand smoke exposure they
10 had. This laboratory here can do it, so...

11 PANEL MEMBER SUÁREZ: Thank you. So I think to
12 be able -- maybe I'll do this, so I can face -- to be able
13 to inform the decision of whether to exclude or not
14 smokers, I think we have to be a little more data driven
15 in that regard. So there was some indication -- I mean,
16 whether it is -- smoking is a source for 1-nitropyrene or
17 whether it's alterations of the metabolism, I think the
18 main -- I mean, from a statistical perspective, the main
19 concern would be very high amounts of variability, and
20 particular within individual variability kind of throwing
21 in a range there, and to be able to do these analyses.

22 So at least a little bit of that was presented,
23 kind of hinting with that. It might be good to look at
24 other studies, and probably this has been looked at, to
25 see how much difference there is in the variability and

1 perhaps start looking at some of those studies too, so we
2 can be properly informed about whether, in fact, we should
3 be excluding this population just for this particular type
4 of study, in the sense understanding that the study would
5 be small, right? If we had a lot of funding for it, then,
6 of course, we wouldn't want to exclude some groups.

7 That would be my recommendation.

8 CHAIRPERSON SCHWARZMAN: I have a question about
9 the occupational exposure sources that were mentioned in
10 the CARE-LA study. And I don't remember if that was
11 specifically collected, Asa, apart from the GIS data that
12 will help with that.

13 DR. BRADMAN: Yeah. No. In our questionnaire,
14 we asked about working near diesel equipment, work with
15 diesel equipment, and so we have questionnaire-based
16 information on that for our participants.

17 CHAIRPERSON SCHWARZMAN: My question is whether
18 we'll be able to understand more about the sources of
19 occupational exposure, like stationary versus mobile,
20 ports, versus trucking, versus like toll collectors. I
21 mean, I don't know what -- there's such different
22 potential sources.

23 DR. BRADMAN: Right. I mean I -- we'll try. I
24 think our population is -- you know, I'm not sure we'll
25 have --

1 CHAIRPERSON SCHWARZMAN: Numbers.

2 DR. BRADMAN: -- enough, you know, representation
3 of different occupations. But we'll certainly do what we
4 can with our data. I mean, your mention of toll
5 collectors, I mean, there's a real -- clearly, a
6 vulnerable population there in terms of exposure. So
7 there's definitely going to be some categories where
8 there's -- there's high exposure at the port, you know,
9 when we think of the big truck facilities in West Oakland.

10 CHAIRPERSON SCHWARZMAN: Jennifer, can you
11 address the sort of granularity of this data that you have
12 on occupational diesel exposure sources?

13 DR. MANN: Well, right now, it's yes/no, and it's
14 self-reported. We also do ask about several occupations
15 that people might have done in the past 12 months. But
16 when I looked on that list, there wasn't any obvious ones
17 for diesel exhaust exposure specifically. They were more
18 limited to other analytes. That's something for us to
19 consider.

20 But as I remember, when I was speaking with Duyen
21 Kauffman, there's a lot of very specific questions in
22 EBDEP, just not very many people.

23 DR. BRADMAN: Right.

24 DR. MANN: And same thing happens when we look at
25 occupations in CARE-LA, and in all the CARE studies, which

1 is that we ask some really pertinent questions, but we
2 might not have the power to actually look at the impacts
3 of being -- having those occupations, just because the
4 numbers can get really low.

5 CHAIRPERSON SCHWARZMAN: All right.

6 DR. BRADMAN: I actually had a question. So the
7 CARE-LA was a cross-sectional study.

8 DR. MANN: Yes.

9 DR. BRADMAN: Would it be possible to get
10 permission to -- and re-consent for say a phone
11 questionnaire and maybe collect a little bit more granular
12 information on diesel-related exposure?

13 DR. MANN: I'm handing the microphone to Robin.

14 (Laughter.)

15 MS. CHRISTENSEN: Okay. No, not technically at
16 this time. We have considered adding something like that
17 to our informed consent that would allow us to re-contact
18 participants. We have the ability to reanalyze samples,
19 but not the ability to reinterview or re-question -- or
20 ask additional questions.

21 CHAIRPERSON SCHWARZMAN: So if I understood that
22 right, you're saying that for future consents you're
23 trying to find a way to add keeping open the possibility
24 of recontacting participants?

25 MS. CHRISTENSEN: I would say it a little bit

1 softer. We have considered keeping that open, and we are
2 weighing the pros and cons of doing that.

3 One of the issues that we are dealing with with
4 the CARE study is, because it repeats on an annual basis,
5 we are trying to keep each region into a very tight
6 timeline. And it might actually be more beneficial for us
7 to add additional questions in future regions, if we are
8 going to be pursuing down this path -- this pathway.

9 CHAIRPERSON SCHWARZMAN: Yeah. June.

10 DR. SHE: This question may be to -- Jianwen She,
11 Chief of Biochemistry Section at the CDPH.

12 This question may be for Chris or Asa. Look at
13 the -- examine the structure of the 1-nitropyrene,
14 3-hydroxypyrene is a possibility, because it's in the meta
15 position. So my question have you ever investigate
16 3-hydroxypyrene and compared the 6 and the 8 and what did
17 you find?

18 DR. SIMPSON: So the short answer is we have not.
19 We developed the assay that we used with Asa based on
20 previous literature that had tried to measure all of the
21 different nitropyrene metabolites in rat urine I believe.
22 And the 6 and the 8 hydroxy metabolites were the ones that
23 were the most predominant. So those were the ones that we
24 focused on and developed in this particular assay. And I
25 think that's due to the specificity of the enzymes that

1 are involved in that hydroxylation reaction.

2 CHAIRPERSON SCHWARZMAN: I wanted to return to
3 the PFAS findings from the CARE-LA study. It was noted
4 that -- I'm not looking at the right thing. Hand on one
5 sec.

6 The -- it's almost across the board, the --
7 although the detection frequency in CARE-LA was very high,
8 the geometric means were all -- where they differed from
9 NHANES, they were all lower, statistically significantly
10 lower. But in that -- in presentations of that
11 information, it was noted that the CARE-LA data is from
12 2018 and the comparison NHANES data is from 2015-16.

13 And we know that especially for some PFASs, in
14 particular, the levels have been declining nationwide.
15 And I wonder is there a role, is there any possibility for
16 looking at older NHANES data and getting a sense of
17 nationwide what that slope is, that slope of decline --

18 DR. ATTFIELD: Yeah. That -- I mean -- sorry.
19 This is Kathleen Attfield --

20 CHAIRPERSON SCHWARZMAN: -- to help you put it in
21 context.

22 DR. ATTFIELD: -- from the Biomonitoring
23 California staff.

24 So that data is readily available and in NHANES
25 shown -- and it does show those same types of declines.

1 Here in California, we actually have even more regional
2 specific information in that the California Teachers Study
3 has done this analysis.

4 And if you remember in my ACE presentation, I had
5 tried to sort of extrapolate into the future based on the
6 California Teachers Study of how the ACE levels -- PFAS
7 levels might compare.

8 So that -- that was instructive, though we do
9 have to keep in mind that the California Teachers Study is
10 predominantly women and they're very different sex
11 patterns of concentrations in some of the PFAS.

12 CHAIRPERSON SCHWARZMAN: And I guess the only
13 other thing would be holding on until NHANES releases
14 subsequent study years cycle --

15 DR. ATTFIELD: Yeah, it's a continuing problem
16 for us to contextualize our information, in that we are
17 sharing faster than NHANES is. So we have to try to do a
18 little anticipation of the national and regional trends
19 and try to give you that grain of salt when we present.

20 CHAIRPERSON SCHWARZMAN: Which we appreciate the
21 fast release. I don't mean to knock that, but just that
22 it would be interesting to return to that comparison when
23 there's more -- there's more comparable time period data
24 available from NHANES.

25 DR. ATTFIELD: Oh, of course. Of course, we'll

1 continue to update those.

2 CHAIRPERSON SCHWARZMAN: Yeah, please.

3 DIRECTOR ZEISE: And I think, you know, another
4 thing to consider is the very long half-life that we think
5 we know in humans. So the question is can it really
6 explain such a large difference over such a short time?
7 So I think that's -- that would be something else to look
8 at.

9 DR. ATTFIELD: Well, and I'd add there are more
10 studies coming out where they're looking at particularly
11 affected communities, where they have very strong
12 interventions put in place for, you know, substituting out
13 drinking water sources that are giving us a better idea of
14 half-life.

15 CHAIRPERSON SCHWARZMAN: Yeah. And I guess
16 that -- that difference between California and the rest of
17 the U.S. or the U.S. as a whole, including California, I'm
18 particularly interested in just to think of what
19 California is doing differently that may be affecting
20 this -- the results, exposures on a population level that
21 if we can take out the variable of time, that -- I mean,
22 that's one of the reasons I'm kind of pushing this topic
23 is if we could. We know that time is an important
24 variable in this current comparison, because it's all the
25 information that's available.

1 But if we could take out that time variable by
2 using later data when it comes out from NHANES, then it
3 let's us -- it helps us think about what's specific about
4 California that's making a difference.

5 DR. ATTFIELD: Yeah. I'd add the caution that
6 PFAS that there's sort of general population levels of
7 PFAS can -- levels, and then there are very exposed
8 communities. And those have tremendously different
9 values. And so any particular sampling, you know, may or
10 may not include those people from those very exposed
11 communities.

12 And in California, we're just beginning to
13 understand where those very exposed communities might be.
14 So that's going to have to play into it.

15 CHAIRPERSON SCHWARZMAN: Little insights into
16 that by looking at the range, right, of sort of
17 distribution, and range of exposures within a sample.

18 DR. ATTFIELD: Yeah. We do tend to focus a lot
19 on the geometric means of course, but yes, of course --

20 CHAIRPERSON SCHWARZMAN: Yeah. Yeah. Yeah.
21 It's something that we're looking at --

22 DR. ATTFIELD: -- we can look at the higher in
23 terms of the range.

24 CHAIRPERSON SCHWARZMAN: Yeah. And now is what
25 can we learn about looking at the particularly high

1 exposed and the particularly low exposed in the samples.

2 DIRECTOR ZEISE: No. I was -- that was
3 exactly -- and for the CARE study, it's so large, really,
4 in terms of numbers of people that we typically look at
5 for these levels that -- looking at the tails of the
6 distribution.

7 DR. ATTFIELD: Right. We'd like to do more with
8 that.

9 DR. ZEISE: It could be informative.

10 PANEL MEMBER SUÁREZ: I have a question.

11 CHAIRPERSON SCHWARZMAN: Oh, yeah, Martha, did
12 you something on that?

13 DR. SANDY: I did.

14 CHAIRPERSON SCHWARZMAN: Please.

15 DR. SANDY: Yes. Martha Sandy.

16 I had a question to Kathleen, I think. Do you
17 anticipate -- so we're talking about population geometric
18 means, and that's really valuable, but you also have the
19 questionnaire data. Are you going to try to look at where
20 people live or what they said on a questionnaire about the
21 frequency of eating out and other -- of wearing
22 stain-resistant clothes, et cetera, to look and see if you
23 can see some differences within the population in CARE-LA
24 for PFASs?

25 DR. ATTFIELD: Yeah. I had definitely started

1 looking at those analyses. These days, I'm very embroiled
2 in the vaping associated pulmonary injury outbreak. And
3 I've not had as much time on that lately. But, yes, it's
4 definitely slated.

5 We do have -- yeah, complicated factors of such a
6 strong sex association. So any sort of questionnaire
7 items that might be more associated with sort of female
8 gender or male gender can sometimes get swallowed up in
9 relation to sort of cosmetic products and things that have
10 various coatings in them related to water resistance.

11 PANEL MEMBER SUÁREZ: I have a question just out
12 of curiosity actually. So I see here Et-FOSAA -- that
13 would be with two As - I guess that would be the acetic
14 acid version of it - what are the sources of that?
15 Primarily because when I look at that -- I take -- I bring
16 it back to the agricultural world, of which we're
17 concerned about, Et-FOSA, with just one A, could be a
18 source in one of the main components of the pesticide,
19 which is sulfluramid. So I'm very interested in hearing
20 about this Et-FOSAA here that you have listed.

21 DR. ATTFIELD: Yeah. I'm afraid we'd have to get
22 back to you on that. I don't have that off the top of my
23 head. Sorry.

24 CHAIRPERSON SCHWARZMAN: Yeah. Jenny.

25 PANEL MEMBER QUINTANA: Hi. I just had, I guess,

1 a question really to people about the new study coming out
2 in San Diego, the new CARE study, because I believe the
3 timeline I saw was to try to get it done pretty quickly.
4 So it sounds like from a 1-nitropyrene point of view, you
5 want to sample everyone at once, same day. Not going to
6 happen. But I don't think we really discussed how to
7 incorporate this seasonal variability into CARE or if we
8 should.

9 MS. CHRISTENSEN: Well, I think that -- this is
10 Robin Christensen. I think that we have learned a number
11 of lessons from the first two regions of CARE. And so in
12 terms of looking at the seasonal trends, we are trying to
13 get out a bit earlier and end a bit earlier as well. That
14 also helps our epidemiologists get the data in their hands
15 a bit faster.

16 But more importantly, we're trying to control for
17 other factors like recruitment throughout the study
18 period, the disparity in race across the months, the
19 trends in race across the months is really problematic in
20 CARE-LA as you saw. So we're doing our best to overcome
21 that with a different recruitment strategy.

22 And we believe that that has worked out better as
23 the data have -- we haven't quite seen the data yet. But
24 the recruitment has improved for CARE-2. And so if the
25 data bear out, we will definitely continue that for CARE-3

1 as well.

2 Do you want to add anything, Jennifer?

3 DR. MANN: No. I just want to say that I think
4 we haven't talked so much about seasonality in
5 1-nitropyrene, and I think we should be thinking about it,
6 especially in the context of a cross-sectional study. And
7 I think you've had some really good ideas about how we can
8 learn from studies like EBDEP, and their within-person
9 variability and how maybe we can model that.

10 But seasonality is probably still going to plague
11 us, because of unintentional things that happen over the
12 course of a study, no matter how well we try to design it,
13 and how much we restrict the time period. We can't
14 control the weather. We can't control all sorts of
15 things. So it's something I think we should be thinking
16 about as we move forward with having 1-NP as a component
17 of our biomonitoring.

18 MS. CHRISTENSEN: I just want to also add that,
19 you know, we have mentioned a number of times we have this
20 very, very ambitious timeline. And looking forward to
21 CARE 4, we are trying to stretch it out a little bit. So
22 that will give us a little bit more of a bit of breathing
23 room on -- to prepare for the study. And we're
24 considering moving sample collection to a different time
25 of the year, which would actually coincide better with PAH

1 season. So that would be one benefit of making that
2 adjustment.

3 And again, let me soften that statement. We are
4 currently still talking about doing that. I'm not making
5 the commitment to do so at this meeting.

6 CHAIRPERSON SCHWARZMAN: Yes, please.

7 PANEL MEMBER HOH: It just came to my mind that
8 California, especially, we have a huge fire here. So is
9 that something also considered to the CARE? Like a
10 sampling collection time and then the season. You know,
11 we have a huge wildfire kind of stuff.

12 MS. CHRISTENSEN: We are -- we are very aware and
13 growing more aware of the fire season and the increasing
14 length of the fire season. I think I saw a headline
15 recently that said it might continue into December for the
16 Bay Area now.

17 So working around fire season is actually
18 becoming more and more difficult. What we are doing is we
19 are tracking exposure to fire -- recent exposure to fire
20 on our questionnaire. So we are hoping to able to track
21 that information.

22 CHAIRPERSON SCHWARZMAN: Asa, you referred to
23 EBDEP as a pilot study. Can you say anything about what
24 you're envisioning for the future?

25 (Laughter.)

1 DR. BRADMAN: Well, I think if there was funding,
2 it would be interesting to target different geographic
3 areas. Sorry. Can you hear me -- would be to target
4 different geographic areas, you know, with expected low
5 and high exposure beyond just the CalEnviroScreen
6 indicators.

7 You know, for example, like I said, going to
8 Bolinas or other -- you know, other locations, along the
9 coast, maybe the Central Valley, maybe the mountains just
10 to really -- to get a better sense of how local land use
11 impacts exposure. So I think that would be a first step.
12 Another step would be also to consider perhaps looking at
13 health or other types of outcomes that might be related to
14 diesel.

15 So, you know, I tend to think epidemiologically
16 and both -- in terms of both exposure -- I tend to think
17 both in terms of exposure and health. And it would be
18 interesting to do some studies that looked at health
19 outcomes.

20 CHAIRPERSON SCHWARZMAN: Would you consider not
21 changing some things and just adding numbers to increase
22 the pat -- like with this conversation about how many
23 variables there are versus participants to increase the
24 power of some of the subgroups that might be formed with
25 trying to control for various -- other variables?

1 DR. BRADMAN: That's a good question. It's an
2 interesting question, would you rather increase numbers or
3 design, basically?

4 CHAIRPERSON SCHWARZMAN: Yeah.

5 DR. BRADMAN: I hadn't thought about that. I
6 would definitely increase numbers. Definitely. I would
7 increase geographic variability. In terms of design, you
8 know, I think that we'll have to be doing some data
9 analysis and see what questions we can or cannot answer.

10 And that might inform how we might trim the study
11 to make it less expensive, but -- and more feasible in a
12 larger population or -- and then also we might identify
13 priorities, so...

14 CHAIRPERSON SCHWARZMAN: I guess I was even just
15 sort of saying holding everything the same while you're
16 talking about adding geographic variability. But maybe
17 also holding geographic variability the same and adding
18 more numbers to help tease out the impact of some of the
19 other variables --

20 DR. BRADMAN: Right.

21 CHAIRPERSON SCHWARZMAN: -- by increasing your N
22 in the variety of pots there are.

23 DR. BRADMAN: Yeah. Yeah. I'll think more about
24 it. It seems Sara had some thoughts here.

25 MS. HOOVER: I just wanted to respond a little

1 bit more to the question about why did we call EBDEP a
2 pilot. And I'll just -- for those of you who might not
3 have heard some of our earlier presentations on this,
4 EBDEP arose, first, out of the Panel's strong interest in
5 diesel for many, many years. Ten years, in fact, it's
6 been a priority of the SGP, so we had that in our mind.
7 And with Chris's work, we had an opportunity when we got
8 our one-time environmental justice funding. OEHHA was
9 given -- unexpectedly, we got \$250,000 but with no
10 position authority. So that gave us the chance to develop
11 this study, which we did.

12 And then we added about 100,000 extra dollars
13 from salary savings from vacant positions to be able to do
14 the complementary studies. Now, that's still actually a
15 really small study, so that's partly why we're calling it
16 a pilot. We're also partly calling it a pilot, because
17 it's the first time we undertook measuring 1-NP. So it
18 was still -- even though we had evidence of -- and it's
19 not -- it's not a specific biomarker. It's -- as Chris
20 has talked about in the past, if there's a source of
21 diesel exposure, it's likely that that's the source of
22 1-NP.

23 So, you know, we're just learning more about the
24 use of this biomarker. And I do think this is actually a
25 great set-up for the discussion this afternoon, where

1 you're going to hear about plans for AB 617 studies, which
2 are also small studies, and this question that you're all
3 thinking about, about do we add more power, do we add more
4 participants, do we go back to the East Bay, or do we go
5 somewhere else in California?

6 So this is actually a really essential question,
7 and that's partly -- we're going to be delving a lot more
8 into that. And I would encourage all of you to think very
9 carefully about that.

10 And then also the issues that Jennifer has raised
11 about -- so we were happy that -- so CARE-LA also -- that
12 was an add-on. Nerissa had an opportunity to have
13 additional funding that could support the analyses of
14 1-NP. So it was an add-on. It was not a -- part of the
15 design of CARE-LA And I think CARE-2 actually is the same
16 thing. It was really an add-on to CARE-2.

17 So it's really valuable, but also challenging,
18 you know, to understand that data, because of the nature
19 of the data. So just a few comments on that.

20 Also, related to wildfires, I wanted to preview
21 another complementary study that we funded. We were able
22 to collaborate with Betsey Noth at UC Berkeley to do some
23 biomonitoring -- not -- sorry, air monitoring of PAHs in
24 Richmond. And we did that because part of the design, the
25 original design of EBDEP, was to -- we're very well aware

1 of the seasonality of air pollutants, and so we wanted to
2 recruit in two distinct seasons. We wanted to be in the
3 more significant winter air pollutant season, and then the
4 lower expected levels in summer, and it just -- it was not
5 possible to do that for a whole bunch of reasons.

6 But a lot of it was hinging on the effort
7 involved in recruitment for that study. It was much more
8 difficult than we anticipated to recruit parent-child
9 pairs in our targeted areas. And, Duyen was pounding the
10 pavement quite a bit to get volunteers for this study.
11 And it was really a year-long process. So we -- our study
12 was kind of continuous sampling over a year, instead of
13 two distinct seasons. So that was another big challenge.

14 So it was great that we could go twice, but we
15 don't have nice distinct seasonal pools, which also
16 complicates that. So that was in the design, but we
17 couldn't achieve that design. So that's another thing to
18 think about going forward.

19 And also just the -- I mean, truthfully this --
20 signing up for this study was a huge ask, you know, in
21 terms of what we had the families doing, in terms of, you
22 know, daily collection of samples from themselves and
23 their children for the subset. Air monitor, you know,
24 vacuum bag, activity diary every single day, carrying a
25 logger around with them. I mean, it was -- it was a big

1 ask. So again, a huge thanks to our participants for
2 taking this on.

3 It's not something that we would be likely to
4 repeat anytime soon, because of the challenges we faced in
5 pulling this off. So we would probably favor a simpler
6 design, you know, aimed at answering specific questions.
7 So that's another thing that you guys could think about,
8 about what would be good for that.

9 So I segued off the Betsey Noth. I just want to
10 get back to that. Because of that incredible difficulty
11 in when we measured, and we measured in different areas of
12 the Bay Area at different seasons, so we wanted to go back
13 to Richmond and collect some air monitoring data during
14 the seasons that should be more heavily impacted to try to
15 get more context on our Richmond results. And she
16 actually did measure during the fire and she did see an
17 indicator, which is retene. Retene is known to be
18 associated with wood smoke and she could pick that up in
19 her data. So we're going to be, you know, reporting back
20 on that data. So that was very interesting.

21 And also Marley, in my group, has been looking at
22 anyone biomonitored for retene or looked at other markers
23 that could pick up more -- you know, not -- I mean,
24 specifically, right, PAHs are hard to be specific to a
25 source. But things that tend to be more associated with

1 one source or another, we're looking into that as well.

2 CHAIRPERSON SCHWARZMAN: Yeah, Jianwen.

3 DR. SHE: Jianwen She again.

4 Regarding, the weathering effect on the monitored
5 levels, I think at least the large PAH molecules, kind of
6 to be bound in particles. So in the air monitoring you
7 have vapor. You have particulate.

8 In the wintertime with the rain deposition
9 particulates need to be monitored to have a full picture.
10 If we considered to further comprehensive understanding
11 the mass balance, I think wet rain deposition could be a
12 component beyond the dust, and the filter, and other
13 things. That's a comment.

14 CHAIRPERSON SCHWARZMAN: I have to change away
15 from diesel again. I was struck by something that Robin
16 presented that eight percent of the study population was
17 above level of concern for at least one metal, and that
18 that was consistent with the BEST study from another
19 region from the Central Valley.

20 And again, because this study makes a comparison
21 to NHANES results, is it possible to use NHANES results
22 and see the percent above a level of concern in NHANES or
23 do you not have that -- you have mean and you have
24 quartile data from NHANES, but do you have --

25 MS. CHRISTENSEN: I am going to look at my friend

1 here Jennifer Mann.

2 DR. MANN: NHANES doesn't really work on an
3 individual level. All of the observations are weighted
4 and they're weighted to take care of a bunch of different
5 issues and designs. So we won't have that.

6 CHAIRPERSON SCHWARZMAN: Yeah. That's what I
7 suspected. I just was -- it's such a cool piece of
8 information that you've generated. And I was wondering if
9 there's a way to make context, but I suspected not.

10 DR. MANN: I mean, we do have the highest
11 percentile that they report in the fourth report and that
12 we could probably get is the 95th percentile. So we do
13 have that.

14 And I suspect one could get -- I mean, I've in
15 the past gotten individual level NHANES data. They're
16 very restrictive about what you can ask and what you can
17 do with it, and where you do that analysis, especially.

18 But I wonder if people have looked at the
19 equivalence of levels of concern for different things in
20 NHANES at the individual level, or at least an estimate of
21 the percent of the population. So that's something that
22 could be considered. It's just a lot of effort.

23 CHAIRPERSON SCHWARZMAN: I'm familiar with the
24 difficulty of a restricted data center application.

25 MS. HOOVER: Hi. This is Sara again. I could

1 just add that actually many of our levels of concern came
2 from CDC. And it came from numbers that they chose as
3 their early -- or, you know, they don't return results.
4 But if they're above a certain level of concern, they do.

5 So they might actually be able to tell us what
6 percentage they see. I don't know if they'd be willing
7 to, but we could certainly ask, because I would think they
8 would have that information for a lot of our LOCs, because
9 they -- we adopted them from CDC.

10 CHAIRPERSON SCHWARZMAN: That's interesting.
11 That's good to know. It's not in the publicly available
12 data.

13 MS. HOOVER: Correct.

14 CHAIRPERSON SCHWARZMAN: But maybe we could work
15 with them to do that.

16 Other questions or comments?

17 Yes.

18 PANEL MEMBER HOH: So it was just addition to
19 what Meg talked about PFAS, the NHANES comparison. I
20 think it's similar things that the phenol data also that
21 the California CARE data, the triclosan was way below the
22 NHANES data. It might be related to the banning of
23 triclosan in 2017, possibly, something -- I mean,
24 something that I could think.

25 MS. HOOVER: Well, actually in terms of timing,

1 so our samples are more recent than -- yeah. So I would
2 say, yes to that. And actually that -- I just wanted to
3 highlight a few things that -- about the phenols. And we
4 know it's a teeny sample, you know, not representative, 60
5 women. But we do see like what you just flagged that sort
6 of trend.

7 I just wanted to highlight a few other things,
8 because of your comment and Lauren's interest in
9 regulatory effectiveness, even in that tiny sample, you're
10 raising that issue, the other interesting thing just about
11 detection frequency that we saw was that we saw the BPS
12 with a very high detection frequency relative to BPA. So
13 that's interesting. And that may actually indicate a
14 shift.

15 We know that BPS is not a straight replacement
16 for BPA, but it has been used in cash register receipts
17 increasingly in place of BPA. The other thing, triclosan,
18 it -- although it was banned by the FDA in 2017 in liquid
19 hand soap and body washes, we did still actually see a
20 relatively high detection frequency of 82 percent for
21 triclosan. I wasn't really too surprised by that, because
22 triclosan has many other applications beyond the use that
23 was banned. So it's added to many housewares, like
24 cutting boards, sporting goods, other personal care
25 products. So it was a narrow ban. So to keep in mind

1 that for triclosan.

2 The other little interesting tidbit out of the
3 small phenol sample was that triclocarban had a detection
4 frequency of only 17 percent. And unlike triclosan, the
5 ban of triclocarban by FDA actually did eliminate the
6 major use. So what we have found based on -- what we
7 understand to be true, based on our research, that the
8 major use of that was in a particular type of deodorant
9 bar soap, and that use is no longer allowed. So just a
10 few highlights from that data.

11 CHAIRPERSON SCHWARZMAN: Go ahead, Nancy.

12 MS. BUERMEYER: Nancy Buermeyer -- excuse me --
13 with the Breast Cancer Prevention Partners.

14 Relative to the phenols, I just had a quick
15 question. As an advocate like ten years ago, we talked
16 about BPA being 93 percent detected in the public. And I
17 know that BPA has gone down over time. And your data
18 shows BPS coming up. But I just was curious what the 46
19 percent detected rate in California, how that specific
20 detection rate related to the detection rate on NHANES in
21 the most recent data, if you know that.

22 MS. HOOVER: Just actually none of us have that
23 off the top of our heads, but we can follow up and look at
24 it. The other thing to always remember is when comparing
25 detection frequencies, the MDL, you know, the detection

1 limit is critical. So we -- we're not necessarily able to
2 directly compare, because we have very low detection
3 limits, i.e. good detection limits, where we can pick up a
4 lot.

5 So we'd have to actually look. If we compare
6 those two, we'd have to look at the relative detection
7 limit between our study and NHANES to determine whether
8 that comparison is actually illuminating or not.

9 MS. BUERMEYER: So yours would be higher?

10 MS. HOOVER: So -- so yeah, if we have a lower
11 MDL compared and we see a higher detection frequency, we'd
12 have to consider is that arising because of the difference
13 in the MDL.

14 CHAIRPERSON SCHWARZMAN: Jenny.

15 PANEL MEMBER QUINTANA: Hi. I was just looking
16 at the slides from this morning and I realized we haven't
17 had any discussion about the Program budget with a very
18 downward trend. And I think I was told that the CARE
19 that's going to happen in San Diego still has funding.
20 But do we have to have any discussions about tough
21 decisions that have to be made about approaches or
22 anything like that?

23 MS. CHRISTENSEN: I don't have any discussion
24 points or talking points for any tough decisions that need
25 to be made just yet. I feel -- I feel like this -- I feel

1 really conflicted about this graph. Because as I
2 mentioned, when we talked -- when I presented my slides,
3 we are actually -- we're in a good position relative to
4 some other states. We still have our Biomonitoring
5 Program. We have instrumentation. We have excellent
6 staff. We have a budget that allows us to continue to do
7 our primary mandate, even though we are trying to figure
8 out how we can continue to do our primary mandate moving
9 forward.

10 So we're not there yet though. We are fine for
11 CARE-3. We are looking forward to how we can make
12 adjustments for CARE-4. And part of that includes like
13 causing -- putting a little bit of a buffer of time, so
14 that we're not stretched quite as thinly.

15 I don't think we're at the point where we need to
16 bring difficult decisions to the Panel just yet, but I
17 trust that you guys will be here to offer advice for us
18 when we're -- we are there.

19 Anybody else?

20 CHAIRPERSON SCHWARZMAN: Maybe the one thing that
21 I would flag about that, which I so appreciate and it
22 speaks to the ability of the Program to do so much with so
23 few resources, is that not to lose site of the fact that
24 we've lost -- in the CARE study, we've lost the ability to
25 look across the state at the same time. And that's a huge

1 loss in light of the original intention.

2 And so I'm so proud of or -- and in admiration of
3 what the Program does with the resources it has. And that
4 it's not -- at the same time, it's not what we aspire to,
5 if the Program had adequate resources.

6 MS. CHRISTENSEN: That's well put. We -- and we
7 have never had a statewide study where we were able to do
8 that. So that -- either we -- when we've cost out what
9 that would look like, it is quite a bit higher than our
10 baseline State budget. But it is actually also higher
11 than our budget in 2016-17, when we had the extra
12 temporary funds and the additional environmental justice
13 funds.

14 So, yeah, I appreciate that. Thank you.

15 CHAIRPERSON SCHWARZMAN: I'm doing -- I'm not
16 faulting the Program. It's the opposite. Just that that
17 is what was in the original sort of statutory mandate, the
18 reason for -- one of the reasons for being -- establishing
19 the Program. And so it's phenomenal what the Program has
20 been able to do in spite of funding, but just -- I don't
21 want to lose sight of the fact that the funding has
22 been -- I mean, the Program has been unable to accomplish
23 the original vision, because it hasn't had the budget to
24 do it.

25 MS. HOOVER: I'll just add on to answer your

1 question, Jenny. One -- one thing to note is that 1-NP,
2 as I mentioned, was an add-on. That's not a core part of
3 CARE. And that was additional funding that Nerissa and
4 her group was able to obtain.

5 That's not necessarily available going forward.
6 So that would be something to discuss about if we wanted
7 to continue measuring 1-NP, we'd have to find the
8 resources, if we wanted to do that in CARE. So that's
9 something worth potentially commenting on.

10 PANEL MEMBER QUINTANA: Again, I'd like to echo
11 our Chair's comments that my comments are made with great
12 admiration for the staff. But I do want to re -- you
13 know, reiterate that the Program has never had the full
14 funding it needed for the initial vision for the Program.
15 And so I still wonder if we should go towards more
16 targeted studies rather than year-by-year studies of
17 different regions without the ability to answer questions
18 about statewide trends or something like that. This is a
19 future discussion topic.

20 CHAIRPERSON SCHWARZMAN: I want to break to check
21 in with the web and see if there's any comments or any
22 other public comments. I want to make sure to have the
23 chance to include those before we end.

24 And I don't want to cut off discussion
25 prematurely, but we can -- if there -- if there are no

1 more comments, we could break 10 minutes ahead of schedule
2 for lunch.

3 Martha.

4 DR. SANDY: Martha Sandy, OEHHA. Since we have a
5 little bit of extra time, I had a question for Dr.
6 Bradman. The results -- the preliminary results you
7 reported on the 1-NP metabolites, you saw lower levels in
8 children than in their parents. And I found that
9 surprising, than -- but you haven't had a chance to really
10 look further and try to do comparisons with dust and
11 things like that. But do you have any thoughts of why?

12 DR. BRADMAN: Yeah. I actually did notice that
13 and I think I have to caveat and say that's something we
14 need to look at more carefully. I mean you do see with
15 some populations that children have higher exposures than
16 adults in the same environment that they, you know, eat,
17 breath, and drink more per unit of body weight.

18 We haven't -- lower concentrations in urine may
19 not necessarily mean lower dose on a milligram per
20 kilogram basis. So I think that's something that we
21 should look at and maybe even -- it might be hard, but
22 perhaps come up with some sort of dose estimate. And it
23 may be also that higher exposures to parents are
24 occurring, you know, on the road, or at work, or there
25 might be other additional sources that kind of are over

1 and above what the children are getting. But that is
2 something I have thought about and will think about I
3 think as a group as we go forward.

4 CHAIRPERSON SCHWARZMAN: So relate that to the
5 diesel -- the one 1-NP findings in the CARE-LA study. If
6 I heard correctly, Jennifer, that was -- exposures were
7 higher with younger age and there was a one percent
8 decrease per each year of increasing age, is that right?

9 DR. MANN: For 8-OHNP, yes.

10 CHAIRPERSON SCHWARZMAN: Okay. But not for
11 6-OHNP?

12 DR. MANN: But not for 6.

13 CHAIRPERSON SCHWARZMAN: And this is just another
14 area of where the connection between the two studies is so
15 interesting. And I wonder with further evaluation in both
16 studies how that will bear out, because the fact of the
17 pairs in EBDEP could be so revealing and help with the
18 CARE-LA diesel results, the CARE-LA 1-NP results.

19 DR. BRADMAN: And also the -- I'm sure -- I don't
20 remember the age range, but, you know, we have a
21 relatively young parent population with, you know, kids
22 that are mostly under five. So it's probably different
23 from the age range that you had.

24 DR. MANN: In adults, I'm thinking, but not quite
25 remembering. I think our median age was in the 40s, is

1 that right, Kathleen? I think it was somewhere in there,
2 so they were older. And you had to be at least 18 to be
3 in our study. And most people were above 20.

4 CHAIRPERSON SCHWARZMAN: Interesting.

5 PANEL MEMBER QUINTANA: Very short, because lunch
6 is looming over. But I seem to notice in your data that
7 the children had a bigger seasonal effect than the adults
8 going from like 100 to 300, versus the adults from 200 to
9 300 or something.

10 DR. BRADMAN: I have to look at those graphs, but
11 I don't --

12 PANEL MEMBER QUINTANA: We don't have to go back.
13 I just was -- it just seemed like it could be a slightly
14 different pattern and I thought that was interesting too
15 to follow-up on.

16 DR. BRADMAN: Yeah, they seem to be more stable.
17 But I think again, we need to look -- we're going to have
18 to look more carefully at the seasons there. And then
19 also, you know, again, I'm really interested to see what
20 the approximate impacts of weather are. So I mean, for
21 example, they're higher during that winter period. But
22 then again, you know, I'm curious like if we're going to
23 see like within that period, we have a change in weather,
24 a change in, you know, air quality, that maybe that will
25 have an impact there, so -- and that generally tracks what

1 we saw for adults, which seemed to be also higher levels
2 during that winter period.

3 MS. HOOVER: So the other issue that we have, we
4 haven't actually looked at the individual measurements.
5 These are -- as we mentioned, this is averaging. So
6 that's the other piece is actually looking more
7 specifically.

8 DR. BRADMAN: Yeah. Yeah.

9 DIRECTOR ZEISE: It's a question for Asa. I'm
10 just wondering and thinking about you're thinking of you,
11 know, how would you progress out from the EBDEP study. If
12 you thought of more proximate measures of markers of
13 effect that were sort of much closer in terms of time
14 frame, if you thought about what that might look like,
15 maybe some inflammatory markers or something. Markers
16 that could potentially be related to particulate exposure.

17 DR. BRADMAN: Right. I mean, those are the kinds
18 of outcomes I've thought about. I mean, there's more, you
19 know, concrete health outcomes, like maybe lung function
20 or, you know, respiratory symptoms. That though is more
21 complicated and perhaps harder to get -- well, there's
22 more potential for variable information, I think. But
23 that would be interesting.

24 And then just the kinds of things you mentioned
25 as, you know, markers of inflammation or others. I have

1 to go back and think of some of the work that we've done
2 with those markers. I'm not sure on what time scale they
3 vary. So we'd have to think carefully with what we would
4 select

5 CHAIRPERSON SCHWARZMAN: Also, are any of those
6 available in urine? I think of those as serum markers.

7 DR. BRADMAN: That's true. Although, I think --
8 I mean, I feel like with our own research that I've done
9 over the last couple decades, we haven't really taken
10 advantage of what can be learned from metabolomic
11 analyses, and that there may be, you know, markers that
12 reflect inflammatory processes that we could focus on in
13 relation to environmental exposures. I think that's --
14 you know, there's room for a number of RIs, you know,
15 looking at those kinds of outcomes.

16 CHAIRPERSON SCHWARZMAN: Any final questions or
17 comments?

18 Okay. With that, we will wrap-up just five
19 minutes early for lunch. So we will reconvene promptly
20 2:00 o'clock for lunch. Give you just about an hour and
21 20 minutes for lunch. There is a handout in your packet
22 that has suggestions of some places to eat that are within
23 a five-minute walk of here to help you get back on time.

24 And just a quick reminder to the panelists to
25 comply with the usual Bagley-Keene requirements and

1 refrain from discussing Panel business during lunch.

2 And with that, I'll adjourn the morning session
3 and we'll reconvene at 2:00.

4 (Off record: 12:40 p.m.)

5 (Thereupon a lunch break was taken.)
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 A F T E R N O O N S E S S I O N

2 (On record: 1:58 p.m.)

3 CHAIRPERSON SCHWARZMAN: I want to welcome
4 everyone back from lunch and start the afternoon session.

5 So this afternoon, we're transitioning over to a
6 discussion of the implementation of AB 617 and
7 specifically some work that's being done in AB 617
8 communities. And I want to introduce our speakers for the
9 next session. Heather Arias is Chief of the Community
10 Planning Branch in the Office Community Air Protection at
11 the California Air Resources Board. She'll provide an
12 update on CARB's implementation of the Community Air
13 Protection Program, and -- that's established under 617.
14 And Terry Allen and Brian Moore are here. They are Air
15 Pollution Specialists in Heather's Branch and CARB's
16 liaison for two AB 617 communities that they'll be
17 highlighting and discussing today.

18 So after their presentations, we'll have an open
19 discussion where we want to explore next steps for
20 biomonitoring in AB 617 communities.

21 Thank you.

22 (Thereupon an overhead presentation was
23 presented as follows.)

24 MR. ARIAS: Okay. And thank you. Thank you for
25 having us this afternoon. Again, I'm Heather Arias. I

1 work in the Office of Community Air Protection at
2 California Air Resources Board. We were in front of you
3 last year and gave you a quick update on what we were
4 doing at the time. And so now we can give you an update
5 on what we've been through with the first communities and
6 where we're at for year two.

7 --o0o-

8 MS. ARIAS: So just as a quick reminder, AB 617
9 was signed into law in 2017 and required several new
10 actions. It required us at the California Air Resources
11 Board to identify some new statewide actions to help
12 communities statewide. We had to come up with an annual
13 emissions reporting system. So there has been a reg
14 that's been adopted to do that.

15 We have selected communities for monitoring and
16 emission reductions program. We'll talk about that in a
17 little bit. And that is an annual process. We have been
18 providing community grants to various community-based
19 organizations throughout the state. We are working to
20 accelerate installation of pollution controls not only on
21 mobile sources, but the air districts are as well on the
22 stationary sources. And the bill gave us the ability to
23 increase penalties for violations.

24 --o0o--

25 MS. ARIAS: So as we talked a little bit about

1 last year, we were in front of you talking about what we
2 were considering for selecting the 2018 communities. This
3 is a quick summary of what were our different inputs into
4 the analyses that then resulted in recommendations from
5 community members, air districts, and then ultimately our
6 recommendation to the Board.

7 We did look at data of cumulatively exposed
8 communities throughout the state. As you can imagine,
9 there are literally hundreds of communities that could be
10 selected for more specific action in the program, which is
11 why the statewide efforts are so important, because we
12 need to make sure that we're helping all communities not
13 just the very small subset that is selected.

14 So we did complete the assessments. We did get
15 recommendations from the local boards, as well as from the
16 community groups.

17 --o0o--

18 MS. ARIAS: We went to our Board in September of
19 last year. And before you, you see the ten communities
20 that our Board selected. Three of them were selected for
21 monitoring only. That's Richmond, South Sacramento, and
22 the Barrio Logan area you see with -- as yellow squares.

23 One of them was selected as an emission reduction
24 program, which is West Oakland, here. And then the other
25 seven were selected for both monitoring and emission

1 reduction programs. And as a reminder, the statute
2 provided seven months for monitoring to be deployed in the
3 areas selected for monitoring, and one year for emission
4 reduction programs to be adopted by the Board.

5 There has been monitoring deployed in all of the
6 areas that was met. And there have been emission
7 reduction programs adopted at the local level in all
8 seven -- or all eight communities, sorry.

9 Oh, and since you guys are not used to all of our
10 maps, the blue is outlining the air districts. So you can
11 see the air district that's responsible for the
12 communities.

13 --o0o--

14 MS. ARIAS: So the air monitoring programs, there
15 is a statewide air monitoring plan. We had to put
16 together a resource on our website that indicates
17 community monitoring, which may actually be some data sets
18 that would be helpful and relevant to this morning's
19 conversation. And there is a data portal that we're
20 putting together for any of the selected community
21 monitoring, as well as any of our air grant funded
22 monitoring that will be coming in. You would be able to
23 access that data. You would be able to download that data
24 and then be able to compare it to the data sets that
25 you're using.

1 On the right, you'll see some of the basics that
2 we have included for the emission reduction program,
3 metrics for tracking progress, annual reporting,
4 enforcement, strategies, implementation schedules,
5 targets, so on and so forth.

6 These plans do include five-year targets and then
7 an additional five years of monitoring to ensure that
8 there's no backsliding within the community itself. All
9 of these requirements that you see on the screen are
10 outlined in a blueprint document that our Board adopted
11 last year and we do have that available online.

12 --o0o--

13 MS. ARIAS: So where are we at in the progress?

14 As I mentioned, all the local boards have adopted
15 their emission reduction programs. And now, statute
16 requires that we take those emission reduction programs to
17 the CARB's Governing Board for their consideration of
18 adoption.

19 So right now, we're in the middle of community
20 meetings. We're -- the CARB staff are traveling
21 throughout the state and have been attending various
22 steering committee meetings to get direct feedback from
23 the committee members. We've also been in attendance of
24 all the meetings throughout the development of the
25 program.

1 So once our Board acts, then the districts and
2 the steering committees will also be required to provide
3 us annual reports. And we will be providing that
4 information online so folks can see how progress is going.

5 --o0o--

6 MS. ARIAS: So this gives you a quick screenshot
7 of the -- all the different public meetings that have been
8 happening for each of the communities. You can see on the
9 top line, it gave you information about when the district
10 boards considered them. They all considered them at
11 public meetings, except for Bay Area's was not webcasted,
12 because they did that at a special location here in West
13 Oakland.

14 So if you are interested in seeing the meetings,
15 you can see them online. Our community meetings -- you'll
16 see we are actually traveling next week to Fresno and
17 Imperial. And then we'll be hitting the South Coast
18 communities in January. Then starting in December, our
19 Board will be traveling to the districts to hear directly
20 from the community members. Our Board will be here in
21 West Oakland on December 5th to hear from the community
22 about the emission reduction program. Then we'll take
23 them to Imperial. Then we'll take them to the valley.
24 Then we'll take them to L.A.

25 --o0o--

1 MS. ARIAS: So the Board last year gave us
2 direction on what we should be considering for this year's
3 communities. We have discussed this with them a few times
4 since then just to make sure that we understand their
5 direction.

6 The first direction they gave us was any of those
7 three communities -- you may remember it was Sacramento,
8 Richmond, and San Diego's Portside. Any of those
9 communities that voted to move to an emission reduction
10 program and have sufficient data would become first
11 priority for that.

12 Beyond that, they asked us to think about the
13 priority communities that were recommended both from air
14 districts as well as communities, that we did not put
15 forward. So, for instance, last year the air districts
16 had recommended 15 communities. We did not have enough
17 resources for that, so there was five communities that
18 were not put forward that the districts had put forward.
19 There were also some others that community members had in.

20 And then, of course, we need to make sure that
21 whatever funding was provided, that we ensure there's
22 enough funding to make sure the 2018 communities can
23 continue their work. So the same conversation you all
24 were talking about this morning, ongoing funding
25 throughout the program is very important.

1 --o0o--

2 MS. ARIAS: So this year, the legislators
3 provided for us the same amount of funding, another 50
4 million for the air districts to implement the program.
5 Because of the funding constraints, we knew we could only
6 add about three new communities. So what you see here in
7 front of you is staff's current thoughts on where we might
8 be going with the 2019 community recommendations.

9 Of the three monitoring communities, only the San
10 Diego Portside community voted to move on to an emission
11 reduction program. Both Richmond and Sacramento have
12 decided to wait and continue monitoring before they move
13 forward.

14 Then the three new communities that we are
15 looking at and potentially recommending for monitoring and
16 emission reduction programs is Southeast L.A., East
17 Coachella, and Southwest Stockton. All of these are
18 consistent with our Board's direction, because we did
19 receive these either as recommendations from the air
20 districts or from community groups last year.

21 --o0o--

22 MS. ARIAS: And as we move forward, you can see
23 here the preliminary boundaries that we are considering
24 for these communities. The preliminary boundaries -- and
25 I can't emphasize that enough. They are truly

1 preliminary. Because if our Board does select these
2 communities, what we ask is that the air district work
3 with the community. They then put together what we've
4 been calling community steering committee made up of at
5 least 51 percent of residents. And the steering committee
6 will work with the district to finalize these boundaries.
7 So that was the process that was -- happened for last
8 year's communities and we expect that to happen again. So
9 these may change, but at least you can see for now where
10 we are currently at.

11 --o0o--

12 MS. ARIAS: So this is our timeline. We will be
13 putting out our recommendations either the end of this
14 week or the first of next week. And in our staff report,
15 you'll be able to see the three communities. You'll be
16 able to see preliminary boundaries. You'll be able to see
17 emissions inventory data -- preliminary emissions
18 inventory data on the communities, profiles, and so on and
19 so forth.

20 This is going to be posted, because we want to
21 ensure that folks have 30 days to be able to provide
22 written comment to our Board. So there will be a public
23 docket opened. If you're interested in seeing any of the
24 comments that come in, those will be on our website. And
25 our Board will consider our recommendation at the December

1 12th and 13th meeting.

2 Right now, it looks like the item may be on the
3 13th. But the agenda is always finalized and posted 10
4 days before. And anybody that's interested can always
5 watch this on the webinar.

6 --o0o--

7 MS. ARIAS: And this our contact information for
8 anybody. We both have the English and Spanish email
9 available. You can call the number. And we have English
10 and Spanish staff available to help. And then, of course,
11 our website, we have everything available in English and
12 Spanish for folks that are interested in the Program.

13 So now, we're going to transition over. I'm
14 going to have Terry come up and he's going to give you a
15 little bit more specifics on what happened in Wilmington
16 so far. And then following Terry, Brian will come up and
17 he will give you some information about South Fresno. So
18 both of these gentlemen are liaisons to the communities.
19 They have been going to all of the steering committee
20 meetings in these communities for the last year and will
21 continue to work with the District and the steering
22 committee as they implement the program.

23 --o0o--

24 MR. ALLEN: All right. Thank you for having me
25 up here today. I'm just going to give you a little bit of

1 information about the Wilmington, Carson, and West Long
2 Beach community, which, as Heather mentioned, I was the
3 liaison for.

4 --o0o--

5 MR. ALLEN: Okay. So the population of that
6 community is over 360,000. It's the largest of the AB 617
7 communities that were selected this year, 43.1 miles of
8 freeways, 72-square miles total, and also of note is that
9 the percentage of Latinos, African-Americans, and Asians
10 is higher in that community than compared to the state of
11 California. Also, the two busiest ports in the nation. I
12 guess that could be arguable depending on what metric you
13 use to say what the busiest port is. But by my research,
14 if you're looking at 20-foot equivalent units, for 2018
15 and I think 2017, both the Port of Long Beach and the Port
16 of Los Angeles were the busiest ports in the nation.

17 And another thing just to point out is there's
18 only one -- there's only one boundary around the
19 community. The other two communities that were selected
20 in South Coast have two boundaries. The inner boundary is
21 the impacted community boundary. The outer boundary is
22 what's called the emissions study area.

23 One of the challenges in this particular
24 community was determining the boundary. So it ended up
25 resulting in instead of two boundaries just having the

1 single boundary here.

2 --o0o--

3 MR. ALLEN: So the community concerns.
4 Refineries were a major concern. There's five refineries
5 within this community. The ports obviously were a major
6 concern, two ports, and then the heavy-duty truck traffic
7 coming through neighborhoods, the railyards, and then also
8 the oil drilling and production sites.

9 There was also concern with sensitive receptors
10 and the effects that these sources have on those
11 receptors. So schools and hospitals are examples of those
12 sensitive receptors.

13 --o0o--

14 MR. ALLEN: So this is just a brief list of some
15 of the people that were on the steering committee. There
16 were 34 primary members and 21 alternate members.
17 Environmental justice groups including Coalition for a
18 Safe Environment and Communities for a Better Environment.
19 Also had representation from the City of Carson, City of
20 Long Beach, and the City of Los Angeles. There was also
21 representation from the University of Southern California
22 and also representation from Marathon Refinery as well.

23 --o0o--

24 MR. ALLEN: So the community air monitoring
25 actually kicked off a few months ago in July. The

1 Community Air Monitoring Plan is up at the South Coast
2 website. The plan looks at mobile, fixed cost, and low
3 cost sensors to do the monitoring. And then the list up
4 there is just a list of some of the pollutants of concern.
5 And then it's important to note that the monitoring areas
6 may be changed based on additional input from either
7 community members or what they get from the initial
8 monitoring.

9 --o0o--

10 MR. ALLEN: And on September 6th, the South Coast
11 Air Quality Management District Governing Board adopted
12 the community emission reduction program, not just for
13 Wilmington but for the other two communities in South
14 Coast as well. There's 18 actions in there that are all
15 based on community priorities to help achieve the
16 emissions reductions.

17 And those strategies include regulations,
18 incentives, air monitoring, enforcement, outreach, and
19 collaboration. The targets -- there's additional targets
20 in the CERP. These were just two that I wanted to
21 highlight. For VOCs, 20.6 tons per year by 2024 and 64
22 tons per year by 2030. And then for diesel PM, nine tons
23 per year by 2024 and 20 tons per year by 2030. And then
24 March of 2020 is when we'll bring the emission reduction
25 program to our Board for their approval.

1 --o0o--

2 MR. ALLEN: So just some of the lessons learned.
3 Building trust between community members, and some of the
4 community-based organizations, and the government agencies
5 and industry for consensus building can be difficult.
6 There's still some mistrust there from the community
7 members, mistrust in government and in industry.

8 So one of the issues that some of the community
9 members take is the fact that industry sitting on the
10 steering committee to begin with. Some community members
11 feel like the steering committee should only be community
12 members.

13 Also, because this community, like a few of the
14 other communities, had both the emission reduction program
15 and an air monitoring plan, there was a large volume of
16 information that had to be pushed out to them. In fact, I
17 don't know if one of the meetings ended on time once.
18 They all went over just because there was so much
19 information to get out there and still probably didn't get
20 everything out there that needed to get out there. But
21 we -- or South Coast did the -- did a great job, did the
22 best they could.

23 And then another challenge was just defining what
24 CARB's role in this whole process was early on and
25 educating the public on the blueprint and what the

1 requirements are in there.

2 --o0o--

3 MR. ALLEN: So these are just a few resources,
4 Assembly Bill 617, our webpage for Community Air
5 Protection Program, and then below that a link where you
6 can get the blueprint, and then my contact information.

7 --o0o--

8 MR. MOORE: Well, hello. As Heather said, I am
9 the South Central Fresno version of Terry.

10 (Laughter.)

11 MR. MOORE: And so the format will follow pretty
12 similarly. So I do work in South Central Fresno. And to
13 give you an idea, this gives a -- I think this will be a
14 great contrast.

15 --o0o--

16 MR. MOORE: You'll see certain things that are
17 similar challenges between communities and you'll also see
18 a lot of differences. So again, looking at the size, just
19 the size of the area in South Central Fresno you can see.
20 The population is almost a third of down in Wilmington.
21 It pretty much captures just north of downtown Fresno and
22 then goes south almost to like the urban rural interface,
23 which is kind of unique with South Central Fresno down
24 there in the bottom.

25 To give you the idea about preliminary boundaries

1 something that we don't have authority over, nor do the
2 local air districts that are convening these meetings,
3 which has required us to work with the city and county to
4 see some of these strategies implemented.

5 Heavy-duty diesel truck emissions were also a
6 really big concern with the warehousing. And just plus
7 emissions that those warehouses would be bringing to it
8 and the type of equipment used actually at the warehouse
9 were of a concern.

10 There's an area kind of on the southeast of that
11 map that actually -- there's a school and a small
12 community of Malaga that was a really big concern.
13 There's some stationary sources there. There's a biomass
14 facility and a glass plant that the community was
15 concerned about.

16 And especially in winter in Fresno, residential
17 wood burning is a huge concern. Right now, you can see
18 over the last two months, the daily average of PM2.5 is
19 really about three or four times higher than it was just
20 like in early September, because of the change in weather,
21 and the use of residential wood to heat houses, changes in
22 fuels, a lot of things.

23 --o0o--

24 MR. MOORE: As far as our community partners, we
25 had in Fresno four or five really substantial well

1 organized community-based organizations, which is
2 different from community to community. Some communities
3 really don't have much established on the ground. Where
4 others have one or two really prominent ones, we had an
5 interesting case where there were four or five. So that
6 led to some of the challenges. Not always did these
7 community groups agree with each other, much less the
8 District or with what we at CARB were doing, so we
9 definitely had to -- had to build consensus.

10 City of Fresno, because so many of their concerns
11 had to deal with land use with the industrial area and the
12 truck rerouting, we really had to try to bring in the city
13 to work with us. And they've been really open. They've
14 been attending every meeting and have actually presented a
15 few times to the steering committee.

16 Another group we've worked with, the Strategic
17 Growth Council. There's a big community grant being
18 implemented on the west side of Fresno that SGC is
19 handling. So we've been trying to work with them across
20 the agencies to implement and see where we overlap, so we
21 can make sure we can leverage funds where that works.

22 And again, there's a lot of public input through
23 these community steering committee meetings. The public
24 is allowed to attend, participate in a lot of the
25 exercises, and give their input as well.

1 --o0o--

2 MR. MOORE: As far as community air monitoring,
3 just like in Wilmington, in July, they began implementing
4 their plan. So two PM2.5 monitors are actually now
5 deployed and collecting data, which is really neat to look
6 at. And they're hoping to get the rest of them deployed
7 by the end of this year. And I think they're getting
8 pretty close. And that right side is just a map. It's
9 from the Air District document showing kind of where these
10 air monitoring assets are being placed throughout the
11 community based on community concerns.

12 As far as community concerns, a little similar to
13 Terry, PM was a big concern, air toxics, as well as VOCs
14 associated with not only combustion but fuel distribution.
15 There's some fuel distribution centers in the south side
16 of this community that are a big deal. And pesticides has
17 come up recently. The last few meetings we've had,
18 because of some of the more rural farming areas around the
19 southside of this community the concerns have been raised.
20 And We've been working with the Department of Pesticide
21 Regulation on that side of things.

22 And different from what Terry mentioned, the
23 community steering committee in South Central Fresno,
24 instead of going with low-cost sensors and kind of like
25 saturating the area, they're really interested in

1 regulatory grade monitors. So they decided to go with
2 more expensive monitors that were pretty high fidelity and
3 just less of them. So every community is a little
4 different, the type of community air monitoring they
5 decide to implement.

6 --o0o--

7 MR. MOORE: And in September 19th, the Air
8 District Board did approve a community emissions reduction
9 plan with a ton of strategies that have been based on
10 community needs. And we, the CARB - and I want to make
11 this clear - CARB public hearing to consider approval of
12 the CERP. We have our policy expert, Anna Scodel,
13 reminding me to get that right, that we are considering to
14 approve it. We don't want to predispose that the plan
15 will be approved. Left that word out. Words do matter,
16 Anna. I know.

17 So, yes, that's going to happening in February.
18 And that's also going to be -- Shafter is another
19 community within the San Joaquin Valley that will also be
20 considered for approval their emissions reduction plan in
21 February.

22 --o0o--

23 MR. MOORE: Lessons learned. A big one was
24 cultural competency. Definitely on the global scale, it's
25 super helpful to have staff members that are

1 knowledgeable, and comfortable, and effective with
2 communicating with people with different cultural
3 backgrounds, right? So we worked closely with our
4 environmental justice unit to help facilitate that. On a
5 more specific level, it was really helpful. We had a lot
6 of the community groups took us on community tours before.
7 So learning out of the history of the Calwa, which is a
8 local area. How it started out, you know, as wine growing
9 area and then the railyard came through and changed the
10 dynamic of that community. So really getting to know not
11 only large umbrella idea of cultural competency, but
12 really getting to know the areas and the history of the
13 areas was super helpful. And we'll definitely try to do
14 that in the future communities.

15 Similar to Terry, the historical relationship
16 between the Air District and lot of these community groups
17 wasn't like the best. So bringing them together and
18 having them meet each other and talk face to face I think
19 helped, but could be a challenge.

20 Rules and responsibilities, the boundary dispute
21 in South Central Fresno who made that final call, I think
22 we had four months of meetings just to decide the final
23 boundaries. So that was a challenge. In the future,
24 we're going to try to really get that set earlier on in
25 the process. One that was set, we actually moved pretty

1 I have one question about if we want details on
2 those 46 strategies for Fresno and 18 strategies for Long
3 Beach, I took a quick look on the website under the
4 blueprint and couldn't immediately figure out where I
5 would find that.

6 MS. ARIAS: Yeah, great question. So -- and just
7 as a reminder, this is only two of the emission reduction
8 programs. There are, as I mentioned earlier, seven total
9 that have been adopted. We do have all seven on our
10 website. You go to Community Selection on the left-hand
11 side and then you click on 2018. And in there is a link
12 that sends you to a website that we have the -- all of the
13 emission reduction programs linked for you and uploaded.

14 CHAIRPERSON SCHWARZMAN: Under selected
15 communities?

16 MS. ARIAS: Correct, selected -- Community
17 Selection and then 2018.

18 CHAIRPERSON SCHWARZMAN: And then if we clicked
19 on one of those air districts, we would get the --

20 MR. MOORE: AB 617 page.

21 MS. ARIAS: He's saying go to the Air District AB
22 617 page. Do you want to walk up onto her laptop really
23 fast and show her.

24 MR. MOORE: I can show you afterwards.

25 MS. ARIAS: We would be happy to send you all the

1 links -- the direct links.

2 CHAIRPERSON SCHWARZMAN: That would be great.

3 (Laughter.)

4 CHAIRPERSON SCHWARZMAN: Thank you.

5 Other questions for our speakers?

6 Jenny.

7 PANEL MEMBER QUINTANA: Just a clarifying
8 question. There's another round of communities being
9 proposed by the air districts, right --

10 MS. ARIAS: (Nods head.)

11 PANEL MEMBER QUINTANA: -- that is not reflected
12 here?

13 MS. ARIAS: It is reflected. So the 2019
14 recommendations of the three and the Portside, those were
15 the recommendations that we also received from the Air
16 District. So South Coast recommended the South East L.A.
17 and East Coachella, and San Joaquin Valley recommended the
18 Stockton community, and San Diego recommended moving
19 Portside. We have not received any other recommendations
20 from the other districts that did not caveat additional
21 funding needs. So since we do not have additional funding
22 needs, we will only put forward the ones that would -- we
23 could do within the funding we have.

24 PANEL MEMBER QUINTANA: I see and no new funding
25 is going to be available or it is going to be available?

1 MS. ARIAS: That would be up to the legislators.

2 PANEL MEMBER QUINTANA: I see.

3 MS. ARIAS: That's on an annual basis they've
4 been considering it.

5 PANEL MEMBER SUÁREZ: I have a question.

6 CHAIRPERSON SCHWARZMAN: José.

7 PANEL MEMBER SUÁREZ: So are you thinking about
8 tailoring the assessments and interventions to each one of
9 the communities exposed? You mentioned that in Fresno one
10 of the concerns, too, was with pesticides. Are you --
11 have you given much thought about that how you would
12 implement something?

13 MS. ARIAS: Yeah. So it was actually an even
14 greater concern in Shafter. So if you have an interest in
15 learning about what's happening with pesticides and how
16 we're working with the Department of Pesticide Regulation,
17 the Shafter report is really focused a lot on that. That
18 was probably their top concern.

19 And so what we did is, since that is not our area
20 of expertise and not our authority, we did reach out to
21 our sister agency, which just happens to be on the same
22 floor as our Branch and we brought them into meetings.
23 And even Val Dolcini, who is now the recently named
24 Director, he, himself, has gone down to Shafter to several
25 of the steering committee meetings. DPR has talked about

1 existing monitoring that has concluded and shared results
2 with the community. They've talked about potential
3 monitoring going forward. They've talked about regulatory
4 action that they're going to be undertaking and making
5 sure that the community has direct input into that.
6 They've also been talking about different types of best
7 practices that they could work with the community on
8 identifying. The Ag Commissioners have been very involved
9 in the conversation.

10 So in Shafter, in particular, that really became
11 the forefront issue very early on. And that really pushed
12 that conversation forward. As Brian mentioned, pesticides
13 has just recently come up more of a conversation in
14 Fresno. So what we're trying to do now is take DPR to
15 Fresno and start some of those conversations there, as
16 well.

17 PANEL MEMBER SUÁREZ: Got it. But technically
18 the funding of the program cannot be used for that, it has
19 to come from other sources?

20 MS. ARIAS: It can. It can be used for that. So
21 there's different -- but there's two different funding
22 pots. There was almost 750 million, not quite, but almost
23 \$750 million that the legislators provided to be able to
24 reduce emissions from mobile sources. And then this last
25 year of funding they also provided opportunities for

1 stationary sources, as well as what we're looking at is
2 called pilot projects, that are compatible with the
3 emission reduction programs.

4 So there is a slight possibility, if the
5 emission -- if the community and the District can come up
6 with an idea of maybe what they might want to try and
7 pilot with some of those funds. Now, that is set aside
8 from the implementation funding. And as I mentioned, the
9 districts just received another 50 million. So the first
10 year they got 27, the second year they got 50, and this
11 last year they got 50 million for implementation.

12 That implementation funding can be used for
13 things like monitoring. That's what they're using to pay
14 for their monitoring. They're also using that funding to
15 help pay for staffing resources for all of this, to pay
16 for things like facilitators, because we've really seen
17 and needed the use of facilitators -- third-party
18 facilitate at all these meetings, as well as in some of
19 like the smaller districts, in Imperial, they hired a
20 consulting firm to help them write.

21 But they have a lot more latitude with that
22 money. So they can use that money to help administer the
23 program how they see fit. However, it's not nearly enough
24 funding. They've -- they've -- actually, most of the
25 districts have had to pull funding from other pots to be

1 able to do what they needed to do.

2 PANEL MEMBER SUÁREZ: And since you mentioned
3 pilot programs, tell me a little bit about that. Who --
4 what's the target, and who can apply for that, and how
5 much?

6 MS. ARIAS: Yeah. So they haven't developed them
7 yet. And our agency is working on putting together some
8 parameters for them on that. So our Mobile Source staff
9 is working with the air districts to kind of put together
10 the rules, if you will, for that particular program. But
11 the idea is to make sure that there is some
12 accountability, but not make it too structured, so that we
13 can see some opportunities for some emission and exposure
14 reductions. So we will be happy to send you some
15 information as that continues on, if you'd like.

16 PANEL MEMBER SUÁREZ: I guess my question was
17 with regards to -- so is this something that counties can
18 apply for or is it investigators within certain
19 institutions, what's the thought process there?

20 MS. ARIAS: Yeah, it all depends on really what
21 the -- I mean, traditionally in our programs -- because
22 our programs have always been engine turnover. You know,
23 it's been the owner or operator of the engine that applies
24 for the funding or like in the stationary source case, it
25 would be the owner of the facility that would apply.

1 We've recently added funding for schools to be able to put
2 our air filtration, so it would be the school that would
3 apply.

4 But with this pilot, it really depends on what
5 the idea is, right? And then -- so then it depends on if
6 it's a piece of equipment or something that they want to
7 swap out, it would be the owner. If it's a facility, you
8 know, it would probably be the facility operator. So it
9 really depends on what kind of source we're talking about.

10 Sorry, we don't have more clarity on that yet.

11 PANEL MEMBER SUÁREZ: That's great.

12 CHAIRPERSON SCHWARZMAN: I had a question about
13 the CERP targets.

14 MS. ARIAS: Sure.

15 CHAIRPERSON SCHWARZMAN: Just clarification on
16 the Fresno ones, where the targets were -- so you might
17 even put this one back up, if you don't mind. It's
18 slide -- I'm trying to see the numbers. Six, I think on
19 the Fresno -- where it's 20.6 tons per year by 2024, 64
20 tons per year for VOCs by 2030. Are those reductions?

21 MS. ARIAS: Um-hmm. Those are --

22 CHAIRPERSON SCHWARZMAN: To reduce emissions over
23 baseline by that much by that year?

24 MS. ARIAS: Right. Correct.

25 CHAIRPERSON SCHWARZMAN: Okay. That's --

1 MS. ARIAS: From the baseline inventory.

2 CHAIRPERSON SCHWARZMAN: That's not the right
3 one.

4 MS. ARIAS: Yeah, I think she was actually
5 looking at the Wilmington.

6 CHAIRPERSON SCHWARZMAN: I was looking at -- oh,
7 my bad. I'm sorry. I said Fresno and I'm looking at
8 Wilmington.

9 MS. ARIAS: It's okay. In both cases -- yes, in
10 both cases, Fresno and in Wilmington

11 CHAIRPERSON SCHWARZMAN: That's my mistake. So
12 this is --

13 MS. ARIAS: Yes.

14 CHAIRPERSON SCHWARZMAN: --- volumes, or mass,
15 whatever, of intended reductions per year by those years?

16 MS. ARIAS: Total tons by 2024 from the baseline
17 year.

18 CHAIRPERSON SCHWARZMAN: Got it. Okay. And
19 what's -- and what's the -- is the baseline year 2018?

20 MS. ARIAS: Correct.

21 CHAIRPERSON SCHWARZMAN: And, I'm sorry?

22 My other question was any of the monitoring
23 that's been done so far, as sort of a segue to our next
24 presentation, it's all been air monitoring, right?

25 MS. ARIAS: Correct. That's right. It is all --

1 the statute specifically says air monitoring.

2 CHAIRPERSON SCHWARZMAN: Yes, please.

3 DIRECTOR ZEISE: Just a follow-up. Just a Real
4 quick follow-up. So what's the baseline tonnage?

5 MS. ARIAS: It depends on which pollutant you're
6 looking at. And there is a significant amount of
7 technical data appendices to all of these emission
8 reduction programs that give you a full inventory for each
9 of the communities.

10 DIRECTOR ZEISE: Do you have a relative idea of
11 the percent? So if -- a relative idea of the percent. So
12 if you take the VOCs, what --

13 MS. ARIAS: I'm trying to remember South Coast.
14 Off the top of my head, I don't remember it. They had a
15 very nice little chart that they put to their -- to their
16 board, but we'd happy to send that to you as well. I
17 don't want to misquote it.

18 CHAIRPERSON SCHWARZMAN: Yeah, Sara.

19 MS. HOOVER: Hi. This Sara from OEHHA. I just
20 was wondering if in the concern about pesticides, if there
21 were any specific pesticides that were discussed? And
22 then I also wondered if you could -- you've talked about
23 some of the unique aspects of the communities, if there's
24 anything else you want to highlight for the other
25 communities that we haven't talked about, either concerns

1 or exposure sources.

2 MS. ARIAS: Let's see specific pesticides. I
3 don't recall off the top of my head what was the top
4 pesticide from the data that was provided. So DPR did go
5 through all the data with them. But again, we can get
6 that for you, if you'd like.

7 And then -- I'm sorry, the other question was
8 about the community concerns?

9 MS. HOOVER: Just -- I have to talk into the mic.
10 To repeat that, I -- we've heard about some of the unique
11 aspects of a couple of the communities. If there's
12 anything else that jumps out at you in terms of either
13 pollutants, or concerns, or exposure sources that are --
14 you know, that vary or are unique with other communities?

15 MS. ARIAS: Okay. So before I get started on
16 that, I will say the one thing that came up in all
17 communities was truck idling. And we have -- hear about
18 that all the time. So we are actually doing some work on
19 that. We went back and reanalyzed the regulations
20 analyses. We adjusted it based on OEHHA's most recent
21 health recommendations. So we're starting to go out and
22 talk about that analyses.

23 But, let's see, individual concerns. Sacramento,
24 as you can imagine, is mobile sources because of the
25 proximity to the freeways. Certainly here in West

1 Oakland, a lot of the diesel from the port itself. There
2 is also some concerns about fire, meaning people burning
3 at night and on the weekends. And Shafter pesticides for
4 sure.

5 San Bernardino is a lot of the warehouses.
6 They're also concerned about OmniTrans. And really that
7 was more of an odor concern, because of the natural gas
8 buses that was there. So the community really wants a
9 huge push for transition to all zero. They are not happy
10 with the natural gas. They want all zero.

11 In East L.A., there is a rendering facility that
12 is a big concern of the community. They are also very
13 concerned about not only the heavy-duty traffic, but the
14 light-duty traffic, because of their location and
15 proximity to all the freeways. And we talked about
16 Wilmington already.

17 And then down in San Diego, again, huge concerns
18 with the port traffic that's coming in and out there.

19 CHAIRPERSON SCHWARZMAN: That's really helpful -
20 thank you - to hear that overview.

21 Any other questions or comments? We're doing
22 okay for time. And then we have more time for discussion
23 afterward. But thank you very much --

24 MS. ARIAS: Thank you.

25 CHAIRPERSON SCHWARZMAN: -- for coming and for

1 your presentations.

2 Next, I would like to introduce Duyen Kauffman,
3 who is the Health Program Specialist in OEHHA's Safer
4 Alternative Assessment and Biomonitoring Section. And
5 she's going to introduce our afternoon discussion session
6 with a presentation.

7 (Thereupon an overhead presentation was
8 presented as follows.)

9 MS. KAUFFMAN: Hello. Great. Thanks, Meg and
10 good afternoon, everyone. So I'd like to take a few
11 minutes now to frame the afternoon discussion session.

12 The purpose of this session is to explore -- to
13 begin to explore next steps for biomonitoring in AB 617
14 communities, including goals of the biomonitoring studies
15 and possible considerations for selecting communities for
16 biomonitoring.

17 So we'd like to hear from the Panel, guest
18 speakers, community members, and other people in the
19 audience about the factors we should take into account as
20 we begin to plan for biomonitoring in these communities.

21 --o0o--

22 MS. KAUFFMAN: So, first, let me provide a little
23 background for our discussion. We do have a new program
24 in OEHHA, the Environmental Health Support for
25 Communities, which has been designed to support CARB,

1 local air districts, and impacted communities in
2 implementing AB 617.

3 And the 2019-20 State budget allocates resources
4 for four permanent positions, so one Staff Toxicologist,
5 two Research Scientists, and one Senior Environmental
6 Scientist, and then limited term contract money at
7 \$350,000 a year for three years.

8 --o0o--

9 MS. KAUFFMAN: So the major elements of the new
10 program are evaluating and interpreting potential health
11 effects that may result from community exposures to air
12 toxics and the health benefits from reducing emissions in
13 these communities.

14 For previously unassessed pollutants, we'll be
15 developing necessary health guidance values. And last but
16 not least, we'll be designing and implementing targeted
17 biomonitoring studies in affected communities.

18 --o0o--

19 MS. KAUFFMAN: So these targeted biomonitoring
20 studies will aim to complement and validate air monitoring
21 in select communities and increase our understanding of
22 exposures and potential health risks faced by residents of
23 the communities.

24 --o0o--

25 MS. KAUFFMAN: So we have already been doing some

1 work related to AB 617, including the East Bay Diesel
2 Exposure Project, which you just heard about this morning
3 from Asa. And in addition to that, we've been engaging
4 with AB 617 communities and local air districts through
5 the monthly steering committee meetings. And thus far, we
6 have visited all 10 communities at least once and are
7 attending some of those meetings regularly, since the
8 beginning of the year.

9 And lastly, we have also been doing some --
10 working on a cross-agency working group with CARB staff,
11 so we can -- as we plan our respective activities around
12 AB 617. And those meetings will be ongoing.

13 --o0o--

14 MS. KAUFFMAN: So as I -- I mentioned earlier the
15 focus of the session is to discuss targeted biomonitoring
16 studies in AB 617 communities. And some overarching goals
17 for those studies include: measuring exposure to chemicals
18 of concern in people, establishing baseline exposures
19 prior to reduction efforts, examining exposures associated
20 with specific sources in the community, and/or evaluating
21 the effectiveness of exposure reduction efforts.

22 --o0o--

23 MS. KAUFFMAN: So as I also mentioned earlier, we
24 have three years of contract money. So this means we can
25 launch targeted biomonitoring studies in a subset of the

1 AB 617 communities. With that in mind, here are some of
2 the factors we might consider in selecting communities for
3 biomonitoring.

4 So chemicals of concern that can be biomonitored,
5 which could include PAHs, VOCs, pesticides, and metals.

6 Geographic coverage of the state. Ideally, we
7 would have a range of locations across the state.

8 --o0o--

9 MS. KAUFFMAN: Nature of exposure sources. We
10 could also consider population characteristics, such as
11 demographics like socioeconomic status, and primary
12 languages spoken, and pollution burden, and other
13 stressors.

14 --o0o--

15 MS. KAUFFMAN: Another important consideration
16 would be identifying community partners to assist with
17 recruitment/engagement efforts. And we'll also be seeking
18 research partners to work with on study design and
19 implementation, similar to our EBDEP collaboration with UC
20 Berkeley.

21 --o0o--

22 MS. KAUFFMAN: Logistics will play a role in
23 launching these targeted biomonitoring studies, such as
24 available infrastructure, like facilities for sample
25 processing and storage. And the timeline of the contract

1 money availability in conjunction with where the community
2 is in the AB 617 process will also be a consideration.

3 --o0o--

4 MS. KAUFFMAN: I also wanted to mention the
5 option for complementary studies as another discussion
6 topic for today. So these types of studies could aid in
7 the interpretation of biomonitoring results, as we found
8 in EBDEP with indoor air and dust measurements of
9 1-nitropyrene. We're also exploring measuring biomarkers
10 of effect and/or the possibility of conducting some
11 non-targeted screening analyses.

12 --o0o--

13 MS. KAUFFMAN: As a reminder, today is just the
14 first step of an open public discussion. And we're also
15 planning to hold facilitated workshops in the future. And
16 we'll be looking at other ways, like electronic surveys,
17 to obtain additional input from communities about
18 priorities for biomonitoring studies.

19 And as always, we welcome feedback at any time
20 through our email address shown here,
21 biomonitoring@oehha.ca.gov.

22 --o0o--

23 MS. KAUFFMAN: So now I'm going to leave you with
24 this summary of the discussion topics for the afternoon
25 session. The overarching goals, which can inform the

1 design of the biomonitoring studies and the possible
2 considerations for selecting communities for biomonitoring
3 that I just outlined.

4 So we would also appreciate hearing any other
5 considerations we should take into account as we move
6 forward in this process. And with that, I'll turn the
7 floor back over to Meg, who will be facilitating the
8 discussion.

9 CHAIRPERSON SCHWARZMAN: Thanks so much, Duyen.
10 We have a significant portion of the rest of the meeting
11 dedicated to this conversation. Basically, we have until
12 4:00 o'clock, if we need it. And so we have a nice long
13 time to explore these topics.

14 And one thing that you might say a little more
15 about, Duyen, or maybe someone else could is how you're
16 thinking about -- what your initial thoughts are about
17 including kids and/or pregnant women specifically in these
18 studies, like little kids.

19 MS. HOOVER: This is Sara Hoover of OEHHA.

20 We are really -- we literally are -- this is our
21 first public discussion, so we welcome any input on that.

22 You heard this morning some of the challenges
23 that we had in recruiting children, so that's a
24 consideration. But really, I would just open it up to the
25 Panel, and other discussants, and people on the web about

1 what your priorities would be. And we've really made
2 no -- you know, we're just really in the initial
3 discussion phase. So we're open to hearing any input on
4 along those lines.

5 CHAIRPERSON SCHWARZMAN: I'm interested in those
6 populations --

7 (Laughter.)

8 CHAIRPERSON SCHWARZMAN: -- with regard to these
9 exposures. And I feel like particularly when you're
10 engaging with communities, for obvious reasons, often
11 understanding impact of these exposures on children's
12 health can be very meaningful and influential. And I
13 wonder about the support that the Program could get from
14 talking with obviously groups like Asa's that have been
15 working with -- not only as in the EBDEP study with
16 parent-child pairs, but also for almost two decades now in
17 the CHAMACOS program of -- you know, I don't think these
18 studies -- you're able to design these with that kind of
19 time frame in mind. But with a few years at least, is
20 there possibility for any kind of longitudinal aspect to
21 it?

22 You're raising the possibility of a longitudinal
23 aspect, in terms of getting a baseline and then studying
24 the outcomes of the interventions. But I'm sort of --
25 it's evidence that I would love to see about the impact

1 and the influence of the interventions, particularly on
2 those subgroups.

3 That's all I'll say for now. Let other people
4 chime in.

5 Yeah, Jenny.

6 PANEL MEMBER QUINTANA: Yeah. I was wondering I
7 guess as you're seeing how to get something going quickly,
8 because if you're going to show a baseline and then show
9 an effect, you want to get samples quickly. And so I was
10 wondering about the possibility of trying to collect
11 samples, even without out a plan, as it were, and
12 archiving them, if there would be money for that.

13 One thing that kind of is a hybrid of
14 longitudinal and cross-sectional studies following on your
15 idea, Meg, was what if you -- I'm just thinking, say a
16 neighborhood affected by diesel near a school, if you
17 could monitor body burdens of fourth graders every year.
18 It wouldn't be the same fourth graders, but it would be at
19 least the same age group. And perhaps the same month of
20 the year every February you try to monitor them or
21 something. You would have a little bit of reporting power
22 for exposures.

23 But I guess that brings up a bigger question,
24 which is are these subjects being monitored still required
25 to be identified and reached with biomonitoring results

1 return as our typical studies are, because that might be a
2 barrier to community groups participating, if they're
3 identified. Particularly with urine sampling, people
4 associate that with drugs of abuse monitoring. They may
5 have concerns about what's going to be done with their
6 data.

7 So I was just curious if it was absolutely locked
8 in stone they had to be identified or if they could be
9 de-identified for these types of projects?

10 MS. HOOVER: This is Sara again. What you do
11 mean by identified? Because, of course, everything is
12 strictly confidential. But it would be the same design as
13 EBDEP. We are required, under Biomonitor -- we're running
14 it under Biomonitoring California. We have to return
15 results to individual participants, but we don't --

16 PANEL MEMBER QUINTANA: I guess that was my
17 question, if this fall -- fell under that --

18 MS. HOOVER: Yes.

19 PANEL MEMBER QUINTANA: -- complete requirement
20 or not?

21 MS. HOOVER: Yes, it does.

22 PANEL MEMBER QUINTANA: Because you collect a
23 sample, and collect a questionnaire, and just collect a
24 number and never collect a name, you know, that kind of
25 thing.

1 MS. HOOVER: No, we're require by law to return
2 results to participants who request them. They don't have
3 to request. But if a participant requests their results,
4 we must return those results.

5 PANEL MEMBER QUINTANA: But they could opt out.
6 They could decide not to?

7 MS. HOOVER: Yes.

8 PANEL MEMBER QUINTANA: Okay.

9 MS. HOOVER. That's always true.

10 PANEL MEMBER QUINTANA: Okay. Thank you.

11 MS. HOOVER: Yeah.

12 CHAIRPERSON SCHWARZMAN: I want to make sure
13 everybody knows that this discussion is open to everyone,
14 not just to Panel members in the room and beyond the room.
15 So we have plenty of time to kick around ideas and we'd
16 love to hear from folks.

17 PANEL MEMBER SUÁREZ: I have a quick question.
18 So there's been discussion about how we can tie in some of
19 the biomonitoring activities with health outcomes, which
20 is kind of what you were getting at, correct?

21 Although, technically speaking, looking at health
22 outcomes is not one of the main core pieces of the
23 Biomonitoring Program, as it's just measuring the
24 exposures. And so I guess in that sense, it makes -- it
25 falls within the scope of that and looking at

1 interventions if that has an effect on the exposures. But
2 I think the next level of that will be, well, how can we
3 maximize that use, even though it's not really a priority
4 or an objective of the Cal -- of the Biomonitoring Program
5 to look at health outcomes.

6 Is there an easier way in which we could
7 stimulate that to happen? It wouldn't have to happen with
8 funds from the Biomonitoring Program, but more so applying
9 elsewhere and collaborating with other investigators. So
10 that's kind of what I was trying to get at. So how can we
11 make it so that it's more of an interactive process, so we
12 can start looking at health outcomes and it's kind of
13 win-win?

14 MS. HOOVER: Yes. So actually I realized we left
15 that off of our discussion topic slide. That is options
16 for complementary studies. And we've actually been
17 thinking about that.

18 So I am in the position currently of having
19 salary savings, because of not being able to fill some of
20 my positions, which does give us the option of funding
21 other kinds of studies that are related to our main goal.

22 So we are looking at that. We're definitely
23 looking at trying to figure out biomarkers effect -- of
24 effect. So if you have any thoughts on that particular
25 topic, that would be great.

1 And also, just echoing back to what Jenny said
2 about collect -- you know, getting out there, collecting
3 samples, storing it. That's actually something that Duyen
4 had brought up. And we realized yeah, because one of the
5 issues that we're facing with three years of contract
6 money is that we have to encumber the money and then spend
7 it within two years. So we have a very small window, so
8 we did think about exactly what you're saying, which is
9 get out, collect samples, store them, go back three years
10 later, and collect more samples, and compare.

11 So that's part of the factors that you could all
12 think about in terms of selecting communities for
13 biomonitoring in terms of where they are in the AB 617
14 process.

15 PANEL MEMBER SUÁREZ: Because as you well know,
16 that National Institutes of Health funds a lot of this
17 stuff. And they're interested in the other part, right,
18 what health outcomes then are changing according to
19 exposures and whatnot. And there's a good amount of
20 funding that could be channeled for that. How hard is it
21 for somebody to start, if -- you know, if you have access
22 to biospecimens, then you can look at a lot of health
23 biomarkers too through biospecimens. How difficult or
24 easy is that to start developing those collaborations? Is
25 that something that you do want to put on the website or

1 somewhere, disseminate it, so more people start perhaps
2 using the stored biorepository or whatnot.

3 MS. HOOVER: I think you're asking like would we
4 request proposals, you know, collaborations for people to
5 take our samples and test, is that what you're saying?

6 PANEL MEMBER SUÁREZ: Right. So if that's of
7 interest and -- and what I'm trying to get to that is
8 addressing the health outcomes and also, at the same time,
9 perhaps help a little offset some of the costs too of just
10 storing all this biospecimens, which does cost money and
11 starting to defray some of those costs too for -- from
12 other pots of money, if that's possible.

13 MS. HOOVER: So I think -- is Robin still here
14 or -- okay. I mean, I would say that we would not offer
15 our samples to other researchers for that, because it
16 wouldn't fall within our consenting. So we would have to
17 be involved with the design of the study from the ground
18 up and consent people directly to do that kind of work.
19 So, no, we wouldn't be able to do that.

20 PANEL MEMBER SUÁREZ: Right. But I guess
21 thinking now forward if that's of interest, then start
22 putting -- maybe consenting -- obtaining consent in that
23 regard --

24 MS. HOOVER: Yes. Yes.

25 PANEL MEMBER SUÁREZ: -- so that that could be a

1 possibility in the future.

2 MS. HOOVER: Yes. And just as we did with EBDEP,
3 we had our biomonitoring piece -- we had our complementary
4 piece, which was funded by OEHHA, you know, and we
5 returned results for environmental samples from UC
6 Berkeley. So we had -- you know, we dealt with that in a
7 collaborative way. So that's the kind of vision I have
8 for -- a similar vision for biomarkers of effect is
9 identifying a researcher to part -- researcher to part --
10 partner with, including it in the consent, and so forth.

11 CHAIRPERSON SCHWARZMAN: So just to tack onto
12 that for just a moment before we change topics. This
13 might be a little bit out there, but sort of thinking
14 about how to accomplish what José is talking about.
15 Anyone happened to know longitudinal studies that were
16 happening on say, okay, I need to start where I started in
17 my mind with this, which was like the evidence about
18 asthma rates in Bayview-Hunters Point in San Francisco
19 having to do with the Superfund sites there, and the
20 shipyard, and the freeways, and all of that. And is there
21 somebody doing longitudinal health effects studies with
22 people who are already enrolled, but who they're doing --
23 tracking in a longitudinal way?

24 This is kind of out there, because you'd have to
25 find it happening in a community that you were interested

1 in from -- it would have to be a AB 1617 community -- 617
2 community. So anyway, where somebody is already doing a
3 health effects study and you can add a portion of it,
4 which is biomonitoring. Because so much of the -- you
5 know, if you're talking biomarkers of effect, it's really
6 limiting. But if you have somebody who's already looking
7 at clinical outcomes, like asthma, they're doing the
8 clinical outcomes part of it and you can add a biomarker
9 of exposure element to it.

10 I guess it's just sort of to put the question out
11 to the universe --

12 (Laughter.)

13 CHAIRPERSON SCHWARZMAN: -- for people who know
14 of longitudinal health effects like partic -- studies,
15 particular in kids maybe in these communities. You know,
16 is there a Kaiser study going on in one of these
17 communities that's clinical outcomes, where you could --
18 and they're -- they already have participants enrolled in
19 a longitudinal study. So you still have access to the
20 participants to consent them for a different aspect of the
21 study.

22 PANEL MEMBER SUÁREZ: I can tell you a little bit
23 about what NIEHS - so this is the National Institute Of
24 Environmental Health Science is - what their approach has
25 been in that, which is to take the other side of it. So,

1 for example, they funded the Children's Health Exposure
2 Assessment[SIC] Resource, in which they had called for
3 applications.

4 So for kind of going the other way around. If
5 you have an investigation of certain characteristics, then
6 you can apply to have your biospecimens be measured by
7 their local labs. So it's kind of getting at what you're
8 saying, but it's like at a different perspective, right?

9 So there's this opportunity to measure at a low
10 cost or for free these different chemicals. And we're
11 trying to track people that do have the outcomes that may
12 be -- it may be of most interest or concern for us.

13 So that's kind of a little different model, but
14 it's an interesting way to frame it too, if that's another
15 way to do it. But at the same time, then you're limited
16 to what are the scopes that -- what are the populations
17 that the studies included, which may not necessarily be as
18 generalizable as we want it to be for the Program. So I
19 think there's a lot of thinking, but these are two
20 different ways to look at it.

21 CHAIRPERSON SCHWARZMAN: Yeah, Asa, please.

22 DR. BRADMAN: Three comments related to that.

23 One, to follow a little bit up on this
24 discussion. What you kind of described is exactly what
25 the ECHO Program is doing through NIH, where they took --

1 were trying to identify cohorts that did not have an
2 environmental component and then add additional funding to
3 leverage those resources. So, I mean, one, we should look
4 at some of the ECHO Programs here in California. But I
5 think what you're talking about actually has a model at
6 the federal level.

7 And a little bit to follow up on what Dr. Suárez
8 was talking about. I mean, I think there's an opportunity
9 here to perhaps collaborate with academics. For example,
10 Chris and I were talking about maybe there's an R1 here in
11 the -- you know, in the diesel exposure front that could
12 be a collaborative effort with the Biomonitoring Program.
13 And that would be relatively little investment from the
14 Program, in the sense that you have academics who are
15 going to kill themselves to write grants. So that
16 might -- you know, use their resources, but not take away
17 too much time and effort from the Program, but may
18 generate, you know, a good return in terms of more
19 research money.

20 And the third thing was your mention about
21 interventions. I just want to echo that. You know, I --
22 we've had some discussions on campus and how to -- you
23 know, we have policies now, more -- you know, that --
24 trying to address environmental health issues. And I
25 think it's really important to evaluate them. And I know

1 from personal experience intervention studies and
2 evaluating the impacts of policies is hard and often
3 fuzzy.

4 But I think it's crucial if we're going to, one,
5 see what works, and two, also justify some of these
6 programs. So I want to just echo what you said about the
7 need for interventions and evaluating them.

8 CHAIRPERSON SCHWARZMAN: It's like your plan, I
9 was going -- that was going to be the next point I brought
10 up, because it's certainly on all the lists of potential
11 priorities. And it's -- you know, when Lauren was
12 reviewing the recommendations of the Panel from the July
13 meeting, we added that seventh priority, which is
14 intervention studies. And so I think we all see eye to
15 eye on this.

16 But I wanted to specifically talk about my
17 experience in trying to evaluate policy impact around --
18 as some of you know, I currently have a study looking at
19 the impact of Prop 65 on population level exposures to
20 some of the Prop 65 chemicals. And one of the
21 investigations we've been doing is on diesel engine
22 exhaust to Prop 65 chemicals, which is not a chemical
23 obviously - Prop 65 substance.

24 And there are some particular cases studies with
25 Prop 65 around school buses and grocery store distribu --

1 grocery distribution centers. And in both cases, there's
2 good exposure science from before and there's no
3 assessments after the intervention.

4 And it completely ties our hands about describing
5 anything about the impact of that intervention. We can't
6 say -- we can only say, well -- and in the -- anyway,
7 there's other problems that plague that. But the basic
8 point stands that, you know, there's some baseline data
9 and there was no data following the intervention. And
10 sometimes we have the opposite problem, right, where
11 there's been an intervention, and people look at the
12 exposures, and we don't have a baseline.

13 And this is such a cool opportunity to do both.
14 And I really appreciate that the Program is thinking about
15 and what Jenny mentioned about quick establishing some
16 baseline data. And it's tricky to think about how to do
17 that in a way that will be most relevant to the
18 post-intervention data that you want to collect.

19 MS. HOOVER: This is Sara again. We do have an
20 opportunity that I'll just raise, which is Richmond did
21 not vote to proceed to emissions reduction. They're still
22 in the monitoring phase. We have strong connections in
23 Richmond from EBDEP and also Duyen has been attending all
24 the steering committee meetings for, how long now, a year?
25 About a year or less -- little less than a year.

1 So that actually is in our mind of we have a
2 potential opportunity to go into Richmond, collect some
3 baseline samples, wait, you know, till the end of our
4 funding to go back and collect more samples, and then
5 analyze them together. So that's a -- that's a
6 possibility we have in mind. So we'd love to hear your
7 thoughts on that.

8 The only other thing I wanted to say is -- and
9 we've talked about this with Heather's group, one of the
10 reasons we mentioned options for complementary studies is
11 we're not 100 percent restricted to the current AB 617
12 communities. So there's a possibility of going into
13 neighboring communities or doing -- or trying to do
14 something more than what we're -- what is originally
15 planned in the new program.

16 So that's another thought about if there are
17 opportunities that aren't necessarily in AB 617
18 communities, that's still something we'd like to hear
19 about just to be proactive going forward.

20 DR. ATTFIELD: Thank you. This is Kathleen
21 Attfield for Biomonitoring California.

22 I just want to raise a sort of side-point that
23 helps us sort of frame thinking about longitudinal studies
24 or intervention studies of many of the chemicals of
25 concern that might be related to this, our short half-life

1 chemicals, our chemicals that have a lot of within-person
2 variability. So this is really going to make us have to
3 think about taking multiple samples or having a very large
4 N to be able to, you know, adapt to the limitations of
5 what one individual measurement could tell us about a
6 community. So I just want us to factor that in that you
7 could set up the situation where you don't learn what you
8 want to, because there's so much within-person
9 variability.

10 CHAIRPERSON SCHWARZMAN: Do you have something?

11 MS. HOOVER: No, I was just checking.

12 CHAIRPERSON SCHWARZMAN: Go ahead, Jenny.

13 PANEL MEMBER QUINTANA: I was thinking of the
14 1-nitropyrene metabolites within-person variability,
15 people keep saying it has a short half-life, you know, 15
16 hours or something, is that right, Chris?

17 DR. SIMPSON: Twelve to 15.

18 PANEL MEMBER QUINTANA: Twelve to 17 or
19 something. But that's very similar to the half-life of
20 cotinine in the body, which is metabolized nicotine. But
21 cotinine is an amazingly stable marker, because people's
22 exposure is very stable to people they live with or
23 whatever. So if the exposure were quite stable, like at
24 their home, even though something has a half-life, it may
25 be seasonal or explicable by seasonal variables, and not

1 constrained so much, because the actual half-life is short
2 if the exposure is continuous, you know.

3 But I also think, in terms of health studies, I
4 think -- I'm on the AB 617 consultation group community --
5 it's called community something group.

6 I know the communities really want health effects
7 studies, but -- including the community I work with, San
8 Ysidro near the border. But there are a lot of times the
9 communities are -- if it's something like hospital visits
10 or ER visits for asthma, it's quite a rare event. So that
11 it's really not possible to do a health effect, unless a
12 community is very large, like it sounds some of the AB 617
13 communities are. You have to have a pretty large
14 community to do a health effects -- clinical health
15 effects study, even though biomarkers of effect might be
16 okay with a smaller sample.

17 So that's just something else. I guess I'm
18 voting in favor of exposure reduction, which is my
19 priority rather than health effects, just because I think
20 it's simpler and cleaner to measure that.

21 CHAIRPERSON SCHWARZMAN: I wanted to raise
22 another point in the -- under the category of population
23 characteristics, because so far we've been talking about
24 communities that I think, in a way, we're generally
25 defining as the AB 617 community.

1 But going back to our questions around occupation
2 in both the CARE-LA 1-NP results and the EBDEP results, I
3 would be very curious to think about an occupational
4 diesel exposure study, even an occupational intervention
5 oriented occupational diesel exposure study under this
6 umbrella, since we're able to tell so little from the
7 other studies about occupational exposures and what might
8 reduce them, and because those exposures are so high when
9 you compare them to the general community levels. They're
10 really, really high.

11 MS. HOOVER: This is Sara. Just to clarify what
12 you're saying. Are you talking about a nested study
13 within an AB 617 community, because, you know, this is AB
14 617 focused studies?

15 CHAIRPERSON SCHWARZMAN: Yes.

16 MS. HOOVER: Okay.

17 CHAIRPERSON SCHWARZMAN: Yes. So like take three
18 of the facilities within an AB 617 community and look at
19 the workers there. And they may not be they're community
20 members in that they work in a facility in that area, but
21 they may not live in that area. They don't necessarily
22 live adjacent to the facility, right. But looking at
23 facilities, not just the surrounding communities. I'm
24 thinking of that as an exposure source for the workers
25 there.

1 I don't know how that -- I would be curious to
2 hear from people who have been at many, many of these
3 community meetings whether the primary concern is
4 fence-line communities, and that's what's motivating -- and
5 it would be unsatisfying to them or is there a significant
6 appetite for understanding and hopefully protecting the
7 workers in those facilities.

8 MS. ARIAS: This is Heather Arias from CARB. I
9 would say that, yes, overwhelmingly, it's about the
10 residents. It is not about the workers. Not to say that
11 folks are not concerned about those that are coming in and
12 working in the community. But we are hearing at the
13 community meetings is an overwhelming concern about the
14 residents, even more overwhelming concern about the
15 children. One hundred percent every single community,
16 number one priority is the children and the schools.

17 PANEL MEMBER HOH: I think just to answer the
18 question, I thought -- I was just curious about the
19 community -- I mean, I think my question was already
20 answered, because the community really wanted the
21 children's exposure and they were very concerned.

22 I'd like to hear that, you know, what -- what
23 about the community's interest participating biomonitoring
24 study. Is that something they expressed that?

25 MS. ARIAS: At this point, nobody has brought up

1 biomonitoring specifically. There are a lot of requests
2 about just general health studies, and what's happening in
3 the community, and really the desire to understand how the
4 actions that the agencies are taking are going to impact
5 the health around them.

6 We've obviously talked a lot about -- Dr. Balmes
7 is on our -- on our Board, and he is chairing the
8 consultation group, and has led the conversations about
9 this. And as you guys are all very familiar with, that is
10 not even remotely an easy question to answer, because of
11 all the variabilities that impact that.

12 So they don't get into the specifics of what kind
13 of -- they do talk a lot about surveys, you know. And I
14 think that's just more because of the more immediacy of
15 the information for them. But there's just, in general, a
16 real concern about their health and they know it. They
17 don't want to be studied to be studied. They say that all
18 the time. Don't study us to be studied. We know.

19 Our family members are sick. We already know it.
20 They're here all the time. You know, they're -- we live
21 right next to this refinery, we live right next to this
22 road that's coming in, we live right next to this
23 railroad, we know it's making us sick. Stop studying us.
24 Do something about it.

25 But what they want to know is which actions are

1 actually helping. I think that's really probably the
2 bigger question that's being asked. And, you know, it's
3 more about those that are living there, not necessarily
4 about those that are there to work.

5 CHAIRPERSON SCHWARZMAN: Just reflect on that for
6 a second, that point towards -- a point that's again
7 toward intervention studies. That sounds like that would
8 align with community priorities. And I also just want
9 to -- you know, having started by raising the issue of
10 children's -- impact on children in a community and that
11 it was brought up how hard recruitment was for EBDEP, and
12 yet, I would argue there is a very different situation,
13 because there's already such a mobilized community that's
14 organized and has been -- there's been so much community
15 building around it already, that perhaps that helps.

16 MS. ARIAS: Right. And we've talked with the
17 staff at OEHHA a little bit about some of the
18 opportunities of once the communities are selected for
19 this, we can have conversations with the air districts.
20 We can have conversations with the steering committees
21 themselves. Many of the steering committees have very
22 active community based organizations that -- you know,
23 it's one of those things where we can come in and say,
24 look, OEHHA is willing to help. Answer these questions.
25 So you guys need to help us with bringing in the folks

1 that are actually going to participate.

2 CHAIRPERSON SCHWARZMAN: Duyen, were you going to
3 add?

4 MS. KAUFFMAN: Yes. Duyen Kauffman, OEHHA.

5 I -- since I do wear my Biomonitoring hat when
6 I'm doing, you know, activities for EBDEP, community
7 engagement and recruitment, and also attending community
8 steering committee meetings, there is a fair amount of
9 interest. I mean, I'm sort of putting my agenda out there
10 as a Biomonitoring California staff person. But people
11 say, yeah, do me. Oh, I don't have kids. Can you keep me
12 on a list for the future. And, you know, I've heard of
13 the CARE study, which is, you know, a long process before
14 we get to the Bay Area.

15 So people -- there is -- I do find that there has
16 been interest. And I think we can leverage some of our
17 relationships and contacts. And I think some people are
18 just surprised that you could measure things in people.
19 And people obviously -- you know, it makes it very
20 personal and some people think, well, you know, maybe I
21 don't want to know, but I would participate.

22 So I find there is a willingness, if people know
23 that that's an option, that it's even a thing that exists
24 in the world, biomonitoring. So I think with the
25 experience we have, we can -- we -- it's not -- without

1 such a complicated study design, I think it's definitely
2 achievable to get community participation and interest in
3 the numbers that we need for what we're planning here,
4 so...

5 MS. ARIAS: If I can add on real fast. I would
6 say the one -- if I could offer any advice to the group as
7 a whole, is I would definitely go in with your making sure
8 you're asking the community what they would want out of
9 the biomonitoring. That was probably, you know, the
10 biggest lesson that has been hammered into us over the
11 last two years is stop coming in and telling us what we
12 want, ask us what we want.

13 So, I mean, it's great to have this conversation
14 today, especially to help you guys maybe narrow down where
15 you want to go. But then after that, I would strongly
16 advise that you go in mind wide open and really ask the
17 community what do they want and be willing to adjust
18 accordingly.

19 MS. KAUFFMAN: Definitely.

20 MS. HOOVER: Yeah. We tried to really emphasize
21 that in Duyen's slides and what we've put out there. This
22 is just the first conversation and we're planning to do
23 facilitated workshops in communities and definitely very
24 open to community input today, by email, any time. So,
25 yeah.

1 CHAIRPERSON SCHWARZMAN: But to reflect on the
2 Duyen's experience of hearing that people are surprised
3 you can even measure these exposures in people, it makes
4 sense to go in with some information about what's possible
5 and ask the community, of what's possible, what would
6 you -- what are your priorities? What do you want?
7 Because it's -- people at least have a -- there's more
8 widespread understanding of air monitoring.

9 MS. KAUFFMAN: Yeah, there are also workers
10 that -- workers that said, oh, yeah, I used to get
11 monitored for lead. I worked at a foundry. They'd say
12 you can't do this job for a while. Take a break. Do
13 something else. So, you know, some people, yes. But --
14 but it is a fairly new concept.

15 MS. HOOVER: I have a question for Duyen that --
16 to tag on something Meg said. We were in an engaged
17 active community. That's where we were recruiting, like,
18 for example, in West Oakland. So I wondered if you could
19 say a little bit more, because you alluded to our
20 complicated study design, but, you know, I think that we
21 actually did have trouble finding families to recruit.
22 But could you -- so could you say more about like what
23 your vision would be with a different study design that
24 you think could potentially overcome some of the problems
25 that we face? I'm just interested to hear what your

1 thoughts are on that.

2 MS. KAUFFMAN: Oh. Okay. Gosh. So, I mean, the
3 daily samples were actually less of challenge than we
4 thought they would be. People, said sure. Yeah, why not?
5 I'm doing it anyway. So -- but, you know, logistically
6 for -- you know, providing people with fridges, things
7 like that, I think is a challenge. But if that's -- if we
8 see really interesting results from the data samples, we
9 can -- we will definitely consider doing that.

10 I think the child-parent pairs are also -- also
11 complicated. I feel like we could do like day care
12 centers and schools we had a lot of interest. Spanish
13 speaking, definitely we have to consider that for these
14 communities.

15 And what else?

16 I think just sort of the -- you know, the fire
17 happened during the tail end of our field work. So I
18 think people's awareness of air quality and, you know, we
19 saw more air filter usage in homes and things. So I
20 think, you know, particularly with air quality now, just
21 the awareness is so high, that there would be even more
22 interest than there was when we were finishing up our
23 recruitment.

24 DR. BRADMAN: I mean, one factor in our study,
25 you know, we usually give a gift certificate or some sort

1 of, you know, reimbursement for time and effort. And with
2 State funds we weren't allowed to do this, so I was able
3 to scrape up some money from kind of my slush funds from
4 honorariums, and stuff, and some other sources. So we did
5 give a small incentive gift certificate to participants.

6 But given the level of commitment, of course, you
7 don't want incentives to be coercive. But it certainly
8 could have been higher, and it would have been responsive
9 to the level of commitment the families made.

10 MS. KAUFFMAN: So it was \$80 for a regular
11 sampler and then \$100 total for daily samplers.

12 CHAIRPERSON SCHWARZMAN: There's a comment or
13 question here.

14 MS. BOLSTAD: Hi. Heather Bolstad, OEHHA.

15 I just wondering if other matrices could be
16 considered, like hair or teeth? It could be collected
17 quickly, less invasively. And you can maybe enroll the
18 children and could collect their teeth as they fall out
19 over time, because they wouldn't need to be frozen at
20 minus 80, I would assume. They'd probably be more
21 relevant for the metals than VOCs, but just an idea.

22 MS. KAUFFMAN: Yeah. Urine was a surprisingly --
23 that wasn't -- there wasn't the huge barrier with urine.
24 I think blood would be much more complicated and a harder
25 sell.

1 MS. HOOVER: Did someone pipe up about -- did you
2 say something?

3 So we've looked at -- you know, very early on in
4 the Program, we looked at a wide range of matrices, and
5 blood and urine was what we settled on, so -- I -- and I
6 think there -- I personally know of a lot of problems with
7 hair biomonitoring, significant confounding. I think you
8 looked into teeth at one point, right? Did you want to
9 make a comment on those?

10 DR. BRADMAN: I mean, teeth is complicated.
11 We've collected teeth as part of the CHAMACOS study. And,
12 you know, you can use teeth to monitor, particularly for
13 metals. You know, we worked with somebody who is now at
14 Mount Sinai and did really fancy, you know, slicing the
15 teeth, and then using laser ablation, ICP-MS and getting
16 very fine resolution across the -- kind of the geometry of
17 the tooth surface. That's really sophisticated work.

18 And it does provide information about exposure,
19 particularly the metals. There are people who are doing
20 work to try to measure other environmental chemicals in
21 teeth, especially persistent pollutants. But there's some
22 evidence that other things that if they have some
23 persistence they may get into soft tissue. The dentin
24 layers can hold chemicals.

25 But, you know, in terms of validating how to

1 interpret it and how to compare it to other studies, you
2 know, I think it's really -- it's very academic at this
3 point and it would be hard to use for a monitoring
4 program.

5 DR. SHE: Jianwen She. I think also the hair, we
6 did some studies. Might not be for the VOC metabolite.
7 If we do monitor the VOC to try to couple with air
8 reduction activities, I do not think the hair we addressed
9 at issue. But the people do use hair to monitor the like
10 organic mercury, these kind of chemicals, to avoid
11 contamination. Whether to use for VOC metabolite, maybe
12 urine or blood still the best one.

13 CHAIRPERSON SCHWARZMAN: Jenny had a comment.

14 PANEL MEMBER QUINTANA: This is more of a
15 brainstorming -- brainstorming idea, but what about having
16 kind of a request for proposals from communities where
17 people could go to the AB 617 monthly meetings and say
18 here's what the capabilities of California Biomonitoring
19 are. And to you community groups -- any community groups
20 that want to think about helping to participate and having
21 them decide if they want to do it and come to California
22 Biomonitoring with an idea. That could have -- so it
23 comes already from the community to start the process.

24 Because we did that -- or you guys did that some
25 years ago. Are there researchers with existing

1 biorepositories that want to collaborate? But it could be
2 something similar, just -- so the communities could come
3 forward, if they thought that was something their
4 community wanted.

5 CHAIRPERSON SCHWARZMAN: One reason I wanted to
6 look at the list of the interventions that are happening
7 in each community is I wanted to see the commonalities
8 among the communities. Because along these lines, if --
9 what Jenny is saying, if Biomonitoring is going to go out
10 to the community and say these are sort of a range of our
11 capacities, it would be helpful.

12 I think it would much more streamlined if there
13 was one type of intervention that was common among many
14 communities that you could design a study around, rather
15 than having to design boutique studies for each community
16 that you were studying. Which isn't to say you couldn't
17 do some particular studies of interest to a community,
18 but -- anyway, I was kind of interested in thinking about
19 tracking -- looking at what the interventions are and
20 thinking about a study that would assess that
21 intervention, if there's sort of a suite of interventions
22 that are common among many of the communities.

23 Maybe Heather can reflect on whether there are.

24 MS. SCODEL: Hi. I'm Anna Scodel. I work for
25 Heather at CARB and we were having a little discussion to

1 respond to that.

2 I think -- I mean, I think what's challenging
3 across the Board in an AB 617 context is that, as you saw,
4 there's a lot of strategies in each of those plans. It's
5 going to be really hard to kind of disentangle different
6 things that might all be happening simultaneously, if you
7 want to try to attribute some change in exposure to some
8 particular strategy versus kind of the whole suite.

9 But I think there's a few things. There's
10 statewide measures that CARB is going to be doing that
11 we'll apply sort of equally across the board. Obviously,
12 it depends on what sources are in the community, but the
13 regulations will all come into effect at the same time.
14 So that could be useful.

15 And then the other thing that I was thinking of
16 is, several of the communities have strategies around
17 truck routing. And so that could be one where that's
18 something -- if the city does implement it, you know, you
19 could see a before and after where truck routes change.

20 Maybe?

21 I think, yeah, school filtration -- air
22 filtration is another one that I think is pretty common.
23 Again, it's -- I think it would be really hard to know in
24 advance when something is going to be implemented and when
25 that change is going to happen in a way that you could

1 align with a biomonitoring study. I think that's going to
2 be the challenge.

3 MS. ARIAS: Yeah. And then I think that the
4 other -- the other challenge is, quite honestly, the other
5 sources that we're talking about from a community scale.
6 Mobile sources, of course, are going to be in everything.
7 And, of course, it's the one thing that you can look at
8 statewide, because they're mobile sources and they're
9 moving everywhere.

10 But that's not what's always impacting these
11 communities. When we're talking about a community scale
12 impact, we're not talking about regional, like mobile
13 sources. We're talking about community scale impacts.
14 That could be some of these refineries. That could be a
15 rendering plant. That could be gas stations. That could
16 be burning.

17 That is -- unfortunately, that is the challenge
18 of the program, right? We're talking about very granular
19 data, very granular focus, and you -- they're so unique
20 across the state, that if you're trying to find something
21 that's -- that is the same, that's mobile sources, and
22 we're on it.

23 (Laughter.)

24 MS. ARIAS: We're trying to get everything to
25 zero. We're working on that.

1 (Laughter.)

2 MS. ARIAS: I think it would be more helpful for
3 our side if we knew what other sources, quite honestly,
4 were impacting these communities that we don't realize are
5 impacting them.

6 So I really like Jenny's idea of going to the
7 communities and asking them who's willing to do this? You
8 know, who's willing to be a pilot for you guys? Because,
9 as you mentioned, you know, this isn't a lot of money
10 really to start this, and who's willing to put in the man
11 hours to help you, as far as -- because some of these
12 organizations are great about getting volunteers.

13 And if they're willing to come forward, like
14 Jenny is saying, and saying, yeah, we're willing to do
15 that. You know, EHC in San Diego, they're one that is
16 extremely active. Diane Takvorian is on our Board. And
17 she is a huge community activist. I could definitely see
18 them being a community that would be interested.

19 But I don't -- I mean, no offense, but we know
20 that mobile sources is an issue and we know it's something
21 statewide. We're working on it.

22 I think it's the other questions of what's in
23 each of these communities. Especially from my side from a
24 policy standpoint, I want to understand what we don't
25 know. That's where I'm real interested in understanding.

1 How can biomonitoring help us to figure out what is truly
2 impacting these children and these other sensitive
3 receptors, so from a policy standpoint we know what regs
4 to push forward.

5 CHAIRPERSON SCHWARZMAN: Well, that really raises
6 the issue to me of having -- we've talked about kind of an
7 intervention study happening longitudinally within the
8 same community, but it raises the issue of sort of a
9 control group that's not in that community to capture the
10 impacts of whatever statewide regulations are coming on
11 board -- regulations are not, other changes, incentives,
12 or whatever they are to affect mobile sources statewide.

13 And for that, you also have to have the baseline,
14 because those change -- because of all the factors that
15 affect everywhere. But it -- it raises the possibility,
16 which we haven't really talked about yet, but I'm sure the
17 Program has considered already is like are you only
18 studying the 617 community or are you comparing it to
19 another community, and if so -- or some other comparison
20 group and how do you choose that comparison group?

21 And it seems like that could -- if possible, that
22 could be really helpful to help with what Heather is
23 asking for, which is understanding insight into the
24 sources that you don't understand yet or understanding the
25 impact of the -- teasing out the difference of what's

1 happening in that community from changes statewide over
2 time.

3 MS. KAUFFMAN: So attending Richmond/San Pablo
4 meetings regularly and going to other community air
5 monitoring workshops and things, I do hear a lot about
6 refineries, so Vallejo, and Benicia, and Crockett, and
7 Richmond, San Pablo, and Wilmington has got refineries.
8 So I could probably look this up, but maybe you know off
9 the top of your head how many of the ten communities have
10 refineries?

11 Only two. Okay. Okay. Those two. Okay.
12 Great.

13 MS. ARIAS: But we are interested.

14 MS. HOOVER: Let's see, I wanted to -- I'm going
15 to ask you guys a question, but first I'm going to -- I
16 just need to set some context, which is we have three
17 years of funding. The scale of funding for that three
18 years is an EBDEP, so that's three EBDEPs. It's very
19 small. So we have to be really strategic about the design
20 to maximize the kind of information we can get from it.

21 I did already mention that we're not restricted
22 to 617 communities. But realistically, we have to focus
23 our design and be really clever about how we carry that
24 out.

25 With regard to what we don't know, I think I'm

1 going to venture a guess that the kinds of biomonitoring
2 that we can do won't answer that question. That's why we
3 raised the concept of maybe some non-targeted analyses.
4 We're really interested in non-targeted analyses to look
5 for things that have not been previously measured.

6 Now, non-targeted analyses have their own set of
7 problems, very challenging. But years ago, when I was a
8 consultant in Canada, I was involved in a really
9 interesting study where we did non-targeted analyses of
10 indoor air samples. And we did an open scan and we looked
11 at all the VOCs in an office building where the workers
12 felt like it was a sick -- sick building syndrome and they
13 had a previous electronics manufacturing facility on the
14 site. So they were afraid that there were, you know,
15 remaining contamination.

16 And so I was tasked with identifying every VOC in
17 the sample. And the most significant -- and so it -- it
18 was a useful and interesting study. The most significant
19 chemicals in those samples were fragrances, so they were
20 personal care products.

21 So that -- it was actually very informative for
22 the people in that building. This isn't exactly relevant
23 to those kinds of contaminants we're talking about today.
24 But I do think that a promising way would be, you know,
25 targeting certain areas in certain communities and trying

1 to look, you know, at an open scan of VOCs. Like that's a
2 complementary study that we could consider.

3 I'm also really interested -- you know, I agree
4 with you, I think there's incredible awareness on mobile
5 sources. CARB is doing an amazing job. You know, we
6 showed that in our gasoline report, like how phenomenal
7 California is doing with that.

8 So in terms of the other more specific sources in
9 the communities, are you concerned -- so I -- so Marley in
10 my group has been looking at the contaminants of concern
11 named across the communities. And they seem to be very
12 similar, you know, VOCs, PAHs, diesel PM, some metals.
13 Have you heard about anything that doesn't fall into that
14 cate -- pesticides, sorry -- anything -- anything outside
15 the usual set of air pollutants, we'd be interested in
16 that.

17 I'm also interested to hear more about -- and I
18 think I did ask this in a -- one of our meetings. But if
19 you can just say something more about metals, like --
20 I'm -- metals would be something we can measure very well
21 in biomonitoring. But I'm interested to know more about
22 the significance of metals as contaminants in these
23 communities.

24 MS. ARIAS: Yeah. I don't know off the top of my
25 head any other of the toxics. Most of the data that

1 you're looking at is the stuff that we put together with
2 our inventory. Acknowledging that our reporting reg
3 that's going to come into play is going to wind up really
4 shoring up a lot of those data sets on a more frequent
5 basis. So, you know, that's something though that's a few
6 years down the line. Hopefully, those data sets will
7 really help us to be able to hone in more on these
8 granular concerns.

9 As far as metals, you know, there -- there's --
10 southeast L.A., in particular, with the industrial sources
11 there, that has come up a few times. They haven't --
12 because we haven't actually gone there yet, not sure what
13 the community is going to discuss. So don't know if there
14 will be anything beyond the traditional chrome plating and
15 things that folks are already concerned about. But I'm
16 trying think if you guys recall anything else from metals?

17 MR. MOORE: What was interesting, looking at the
18 community scale, we saw like crematoriums were huge
19 sources of some metals that was -- we were kind of
20 surprised. I can actually get that to you with one of
21 the -- we have source level information, so I can get -- I
22 can get that list to you.

23 It was surprising. Like, whoa, there's a --
24 there's a cat -- you know, a pet crematorium that was
25 putting out a bunch of metals. So that was interesting

1 when you look at that granular scale, those like
2 individual facilities kind of pop out, that you don't see
3 when we do our like regional analysis.

4 CHAIRPERSON SCHWARZMAN: Are those data coming
5 from the Hot Spots Program?

6 MR. MOORE: I believe some is. Our Planning
7 Division has really taken these community boundaries, and
8 where historically we lump -- like gas stations, there's
9 so many of them, that went from like area-wide sources we
10 call them. Because that works for regional analysis. But
11 when you're going to community, they're trying to like
12 take those area sources and like resolve them out. You
13 know, so it came from our Planning Division. And I --
14 they may have grabbed some information from the Hot Spots.
15 And then our CTR too, we have our stationary reporting
16 that we get every four years from local air districts,
17 which will happen annually, I believe, now with the new
18 reporting reg. So that's going to help us quite a bit.

19 MS. ARIAS: Yeah. And I think that it will just
20 be interesting when you talk to the communities to see
21 what they highlight for you or they think is a concern.
22 And then that might help you be able to figure out then
23 what you could focus on.

24 MS. SCODEL: I just want to echo the concept of
25 kind of this screening to figure out what might be

1 impacting the community that maybe we don't know about, I
2 think is pretty well aligned with some of the way that the
3 communities have been approaching the air monitoring side.

4 So there's often kind of this question of, you
5 know, part of the whole motivation behind AB 617, which
6 Brian was just talking about, was this moving from looking
7 regionally to kind of what's going in this particular
8 community that maybe we don't have as good of an
9 understanding of, and things that might not matter at a
10 regional scale, but that really, really matter to people
11 who live near them or who, you know, work near them or all
12 those things.

13 And so I think keeping that idea of screening,
14 and I don't know sort of the technical capacity associated
15 with that, but, you know, keeping that on that menu of
16 options I think aligns really well with some of the
17 approaches that we've seen with the air monitoring to
18 let's kind of look around the community and see if there's
19 pollutants that we didn't know about that maybe our
20 inventory gave us an idea might be there, but we need to
21 understand a little bit better, or maybe there's hot
22 spots. I think that we -- thinking about ways that
23 biomonitoring could complement kind of approach, you know,
24 I think that should definitely be on the menu of options,
25 and you take it to the community is because I think that's

1 very consistent with the way that they've been starting
2 approach them -- the air monitoring. So ways that those
3 could complement each other I think would be really nice
4 to think about.

5 CHAIRPERSON SCHWARZMAN: I wanted to ask Oliver
6 who's our resident expert on non-targeted screening to
7 weigh in on this, because it's something that Sara had
8 raised earlier among our sort of menu of options, things
9 to think about.

10 In the setting of AB 617 communities and the air
11 monitoring, what we -- what comes to mind for you about
12 doing non-targeted screening and potentially identifying
13 previously unappreciated sources of pollution and that
14 kind of thing.

15 PANEL MEMBER FIEHN: Yes. So first of all, air
16 monitoring is more feasible in a way for untargeted
17 screening, because it's been done for many years. So many
18 compounds that are volatile are known, and techniques are
19 available.

20 Secondly, new informatics techniques have been
21 developed, such as hybrid search and other types of
22 classifications that can deal with the number of mass
23 spectra to sort them to chemical classes. So there is a
24 much better way today to deal with these types of
25 classifications to at least -- you know, for these

1 unknowns at least say that these are polyaromatics, or
2 aliphatics, or, you know, other types of classes so that,
3 you know, one can deal with that amount of information, at
4 least get some idea of how to -- of whether to be
5 concerned or not.

6 And thirdly, of course, other informatic tools
7 are also getting better in terms of enumerating and
8 storing that information. You know, we have developed
9 techniques, but others have too. So all that is much
10 better suited for air monitoring than for blood or urine,
11 because basically the exposome is more limited and
12 cleaner.

13 CHAIRPERSON SCHWARZMAN: But then for the
14 Program, you know, then that's back into environmental
15 monitoring, not biomonitoring. So do you have any
16 reflections on that?

17 MS. HOOVER: Yeah. This is Sara.

18 That's why I put that in complementary. That was
19 intentional, because I'm aware of what Oliver is saying,
20 and just our own experience with doing -- within the
21 Program, we're actually doing semi-targeted screening,
22 because of how you have to prep, you know, the biological
23 samples. So I am talking about non-targeted screening of
24 air samples specifically, because I think -- yeah, that's
25 a lot more doable and could yield some really interesting

1 results. That would be a complementary study funded with,
2 you know, salary savings that I currently have -- so those
3 are the kinds of things that we can think about adding as
4 add-ons really.

5 PANEL MEMBER HOH: Echoing that the air
6 samples -- environmental samples are much better for the
7 non-targeted analysis. And then it's much easier to
8 actually identify what they are.

9 Another thing is that I was thinking the
10 community -- it's kind of compelling. I go -- I hear from
11 my other folks, like the Imperial Valley community, you
12 know, people go there. Their -- the communities are
13 super, super concerned about their environmental pollution
14 there, you know. So it really makes sense that they're
15 concerned about their health outcomes.

16 But if we do the interventions, you know, if
17 they're interested in more intervention, we need to know
18 the baseline and then the intervention -- we have to
19 evaluate the -- how the intervention works or not, right?

20 So the biomonitoring has to be kind of involved,
21 you know, with the -- with AB 617, you know, the -- we
22 can -- we can probably check the air monitoring data that,
23 oh, yes, we were able to reduce it, but is it really
24 happening to -- in terms of the exposure? Actually, it's
25 really happening or not.

1 Maybe outdoor air -- maybe reduction of the
2 pollution may work. But indoor or other routes of the
3 exposure could be much bigger than, you know, the air
4 pollution. You know, so something that has to be
5 addressed.

6 CHAIRPERSON SCHWARZMAN: Jenny.

7 PANEL MEMBER QUINTANA: So I just want to
8 clarify, the Program is willing to look at house dust or
9 air samples for non-targeted, is that what you're saying?
10 Because I think that -- I wouldn't recommend doing
11 non-targeted and biological, not just for technical
12 reasons for our two experts there, but you're going to
13 find all kinds of stuff. You don't want to find like
14 drugs of use in the sample. And that's by the nature of
15 the analysis. It's not a good place to start with
16 communities I think.

17 But I guess just to get to your point as well,
18 house dust -- if communities are willing to provide vacuum
19 bag samples, or a lot of people don't have vacuums, even
20 sweep it up, or whatever, you know, if they were willing
21 to provide those samples, that would reduce a lot of the
22 cost which is collection, they could again come forward,
23 not just with biological samples to propose, but, you
24 know, house dust samples is a very interesting matrix to
25 look at. It might be interesting.

1 But just -- my last thing, I promise. But I
2 think we should focus on either pesticides or diesel. I
3 think pesticide exposure Imperial Valley, Central Valley,
4 other places is -- the expertise this Program has, it
5 hasn't been studied as much. And I think it's an obvious
6 place in terms of -- I think you were saying we offer --
7 or, you know, focus our request in some way. That would
8 be one. Diesel you've talked about a lot anti-idling.
9 Rerouting of trucks is an obvious one. But pesticides
10 would be the other, is exposure occurring by
11 demonstrating, by it's getting into people's bodies.
12 Sorry. That's a long comment, but go ahead.

13 MS. HOOVER: Yeah. I just wanted to make sure
14 I'm hearing all of your point here. So first of all, just
15 to clarify, this -- our new AB 617 program is within OEHHA
16 and it has aspects beyond biomonitoring. So we have our
17 targeted biomonitoring studies that we will run in
18 compliance with the law that governs Biomonitoring
19 California.

20 But we have aspects that are OEHHA aspects. So
21 it's not the Program that is doing environmental samples,
22 it's OEHHA that will do complementary studies of
23 environmental samples. So, yes, definitely. And as I --
24 that's why we brought it up and that's why we put
25 non-targeted as complementary, because we're very aware of

1 the difficulties that you raise, which actually we're
2 going to touch on that in my next presentation about
3 non-targeted screening.

4 I have a question for you, which is pesticides,
5 do you have any suggestions about being more specific?
6 Because pesticides, you know, very large category. So do
7 you have any information about specific pesticides that
8 are -- that -- I mean, there's many that are
9 biomonitorable, but thoughts on that.

10 And the other question I just wanted to pose more
11 broadly that we touched on, which is biomarkers of effect.
12 If people have suggestions on -- like I said, we're
13 researching that. You know, potentially interesting
14 feasible biomarkers of effect linked to air pollution,
15 if -- just if anyone has thoughts on that.

16 PANEL MEMBER QUINTANA: I think José should be
17 answering the question on pesticides. But I was thinking
18 of -- more specifically of agricultural applications in
19 the pesticide use database, rather than veterinary
20 pesticides or something like that.

21 PANEL MEMBER SUÁREZ: So with pesticides, the
22 ones that really have not been studied as much and I -- a
23 substantial concern are fungicides. You know, I think
24 I've brought this up before, where we know that 70 percent
25 of all crops in the U.S. are sprayed with fungicides. And

1 this has really skyrocketed over the last 15 years. We
2 know very little about that.

3 Some fungicide -- for a lot of the fungicides,
4 the methods have just been recently developed. I know
5 that Eunha has -- in her group, they have been able to
6 start thinking about measuring some of those.

7 So these are novel ones that I would be
8 particularly concerned of. And we can talk about which
9 specific fungicides or class of fungicides. And I don't
10 know if this is the moment to talk about that, but I'd be
11 happy to have a discussion about that.

12 Of course, herbicides, we've heard a lot about
13 glyphosate lately, which is the most commonly used
14 insecticide worldwide, especially here driven by the U.S.,
15 primarily with crops like corn, soybeans, and whatnot. So
16 those would be the first ones.

17 Of course, then we have insecticides, which you
18 do have experience measuring a lot of the different
19 insecticides. And things are changing in the insecticide
20 world where organophosphates used to be the most commonly
21 used insecticide. Now, the use has been decreasing, still
22 high though, but taken over by neonicotinoids and
23 primarily neonicotinoid and pyrethroids to some extent.
24 So both. But I'd be happy to have more of a conversation
25 about specific compounds or classes or whatnot.

1 CHAIRPERSON SCHWARZMAN: I would think, given the
2 sort of local specificity of this Program, it would be
3 work looking at the -- what's used in the area, right?
4 Because some that are used in really high volumes
5 nationwide -- like, we don't have -- we don't grow a lot
6 of corn. For some of it, there's that big variation. We
7 need to look at what's used.

8 Lauren.

9 DIRECTOR ZEISE: Yeah. And I would think you'd
10 also want to consider carefully timing, so that you want
11 to do the biomonitoring near the time that it's actually
12 being applied.

13 CHAIRPERSON SCHWARZMAN: Go ahead.

14 DR. SHE: I have a comment about the
15 biomonitoring of the VOC-related chemicals. So last year,
16 we have -- last year, we have a meeting. CDC presented to
17 monitor 28 urinary biomarkers for VOCs. So we know this
18 VOCs we have captured that by the glutathione formed the
19 mercapturic acid. So that can cover a few groups of the
20 VOCs, tobacco related, dry cleaning, and refinery. So
21 this kind of analysis might be able to be coupled with the
22 actions the Air Resources Board try to reduce the air
23 emissions. I do not know the 26 tons reduction. If you
24 break down, you might identify which one is the major one
25 contribution to the scores. You mentioned the 26, that's

1 the ones we know. We might even to refine our method.
2 EHLB laboratory has developed a VOC method.

3 So next one I have a comment about untargeted
4 analysis. So we have the two experts here. We know
5 untargeted analysis is for discovery purpose. We need to
6 look for the cross work between the untargeted and the
7 targeted analysis. Most of the time we use untargeted
8 only of the discovery what will become targeted analysis.

9 Because untargeted analysis has -- in contrast to
10 it's advantage, it covered more unlimited chemicals
11 theoretically. But on the other hand, you have low weight
12 quantity, because you do not have a standard entity in
13 them. So these are two things need to be shared together
14 to work, so they are not against each other or replace
15 each other. They complement each other.

16 CHAIRPERSON SCHWARZMAN: Yeah, there is another
17 over here. I thought you were responding. Sorry.

18 MS. BUERMEYER: Nancy Buermeyer -- excuse me --
19 with the Breast Cancer Prevention Partners.

20 Just a couple of quick comments about mostly
21 working with communities. We just did a project where we
22 went to 11 different communities around the state and did,
23 what we referred to, as listening sessions, which is
24 probably no different than working groups or workshops,
25 but it just communicated in calling what it was, which is

1 to listen to the community.

2 And we did present information on a series of
3 different breast cancer risk factors, whether it was light
4 at night, or chemical exposures from consumer products, or
5 place based, or social and built environment. And then
6 heard from the community what of these resonate with you
7 and what do you think we should be focused on?

8 And it was amazing how appreciative people were
9 when you actually sat down and listened to them. And I
10 know that most of us know that and do that. But to call
11 it what it is, I think made a difference.

12 In talking about pesticides, I think it's really
13 important to understand that. But one of the things we
14 heard consistently throughout the state was the concern
15 people had about immigration status. And to get the folks
16 that are most directly related -- or most directly
17 impacted by pesticides, especially agricultural pesticide
18 exposures, you have to overcome the overall community
19 concern and then you have to overcome basically ICE.

20 Like, we heard stories of people who wouldn't
21 walk into a health clinic if there was a black SUV sitting
22 outside of it. Like, it was horrifying the impact not
23 just on people who are here undocumented, but anybody
24 who's here that looks like people that this administration
25 is targeting. So those were just a couple of things I

1 wanted to add.

2 And the last thing I wanted to say, and I
3 don't -- Asa had referenced not being able to use State
4 money to reimburse people. But it was really important to
5 us when we went into these communities that we provided
6 some financial consideration of the time we asked them to
7 give. These are all community groups that are completely
8 over -- over capacity. And to not offer them some
9 resources to compensate them for their time felt really
10 disrespectful to us.

11 So I don't know how you do that in the context of
12 the Biomonitoring Program, but I just wanted to raise it
13 as an issue that was -- that really came up for us a lot.

14 MS. HOOVER: We actually have a couple comments
15 that came in online. And so before we -- we're about
16 three minutes to go in this session, so I want to make
17 sure we cover those.

18 This is from Jo Kay Ghosh from AQMD, I guess.
19 South Coast.

20 Thank you.

21 Okay. The first question is given that the AB
22 617 Program is structured to provide long-term emissions
23 reductions, is the biomonitoring approach able to show
24 changes in long-term population exposures? I'm thinking
25 about the short-term temporal var -- temporal variability

1 within subject variability that was shown in the previous
2 presentations. So this seems like it would be a
3 challenge.

4 And I was just chatting with Kathleen about this,
5 and basically we agree. And this is obviously a concern
6 that we'll be keeping in mind as we design our
7 biomonitoring studies.

8 The second question -- follow-up question. Also
9 knowing that these are all environmental justice
10 communities that experience many simultaneous factors that
11 are impacting their health, have you considered including
12 some health education and/or support, e.g., linkage to
13 care, as part of these studies? This may help overcome
14 the barrier of not wanting "just to study" and wanting
15 actions that will lead to improved health outcomes. One
16 example is that some studies have found that many families
17 with kids with asthma were not clear on how or when to use
18 their medication.

19 So I will say that all of our biomonitoring
20 studies are paired with health education. That's one of
21 our goals is to provide possible ways to reduce exposures
22 and actually stay engaged with the communities. That's
23 one thing we're going to be doing in EBDEP is to stay
24 engaged with communities, trying to work with communities
25 directly. So that will definitely be an element of the AB

1 617 studies.

2 And Duyen, did you want to add anything else
3 about health education or engagement related to AB 617?

4 MS. KAUFFMAN: Nothing.

5 MS. HOOVER: Okay.

6 CHAIRPERSON SCHWARZMAN: Anything else from
7 online?

8 MS. HOOVER: So that is all from online.

9 CHAIRPERSON SCHWARZMAN: Okay. In that case,
10 thank you all for your contributions to this rich
11 discussion and thank you to the ARB staff.

12 MS. ARIAS: Thank you.

13 CHAIRPERSON SCHWARZMAN: Not only for all your
14 work, but for coming here to discuss it with us. It's
15 really exciting.

16 I will introduce the person who barely needs
17 introduction. Sara Hoover is Chief of the Safer
18 Alternatives Assessment and Biomonitoring Section in
19 OEHHA. And she is going to give a brief presentation now
20 about possible topics for 2020 SGP meetings. And then we
21 have a little bit of time for question and discussion
22 before our final open public comment public period at
23 4:15.

24 MS. HOOVER: Okay. Thank you. So I'm pleased to
25 announce that we managed to, after polling our Panel

1 members repeatedly, we have set our dates for 2020. March
2 4th in Sacramento, July 14th in Oakland, and November 12th
3 in Oakland.

4 --o0o--

5 MS. HOOVER: So this time in terms of the topics,
6 I'm actually tying them to each meeting. And we've been
7 thinking about themes for the next three meetings. At
8 every meeting, we'll have the usual Program update. So
9 we'll be hearing updates about analyses related to CARE,
10 about follow-up on EBDEP, and about our AB 617 planning.
11 So we'll be talking about those probably at each meeting
12 next year.

13 The Panel recommended, based on the preliminary
14 screen, that we proceed with developing a potential
15 designated chemical document on quaternary ammonium
16 compounds. And we're going to do that and we've scheduled
17 that for March. We're also looking for -- we're going to
18 be inviting a guest speaker or guest speakers to talk
19 about the analytical issues involved in QACs. And then
20 Shoba will be doing the OEHHA presentation on the document
21 that we'll be preparing.

22 So to pair with QACs, we're thinking about maybe
23 other consumer product topics. One thing that was
24 suggested was PFASs in food packaging. So if anyone has
25 any thoughts about either consumer product topics or

1 anything maybe linked to QACs, that could be a potential
2 March topic.

3 --o0o--

4 MS. HOOVER: With regard to the July meeting, the
5 idea that we've had for this is to actually do more of a
6 theme around non-targeted screening. We've had many
7 meetings where we check in on non-targeted screening. It
8 seems relevant for a bunch of reasons to do that again.
9 We would provide an update on current Biomonitoring
10 California activities. We would be inviting a U.S. EPA
11 guest speaker. And I actually did reach out to Jon Sobus
12 and he is available for July, so that's promising.

13 And then I wanted to mention what Oliver has
14 raised in the past about -- and it came up again today
15 about the ethical issues in non-targeted screening and
16 results return, specifically around biomonitoring.

17 Now, I am very interested to hear about who might
18 be able to be a guest speaker on that kind of topic. So
19 if anyone was thoughts on specific people to invite, that
20 would be great.

21 --o0o--

22 MS. HOOVER: With regard to the November meeting,
23 we're going to be touching back in on biomonitoring
24 surveillance in California. So we would again do a more
25 of a focus on the CARE study, with the latest results by

1 then. Nerissa and I have also been talking about having a
2 guest talk to go into more detail about constructing a
3 representative sample. And then discussion of next steps
4 for the CARE study, you know, in view of limited
5 resources.

6 Then we'd circle back on AB 617 and go into more
7 depth, reporting back on what we will be doing next year.
8 And then as always, we'll be looking at possible topics
9 for 2021.

10 --o0o--

11 MS. HOOVER: So with that, I would -- there's
12 time to give feedback here in the meeting and both Panel
13 member and the public are welcome to propose additional
14 topics or comment on these topics to the Biomonitoring
15 email.

16 CHAIRPERSON SCHWARZMAN: Jenny.

17 PANEL MEMBER QUINTANA: I was just circling back
18 to a topic I raised a few years ago, which was initially
19 when the Biomonitoring Program started it had a -- very
20 much came from breast cancer activists. And I felt like
21 that had not been as forward in discussions recently. I
22 think I had sent you that paper Rudel et al. about
23 chemicals to biomonitor related to breast cancer risk.
24 And I just had a response from you with a few chemicals
25 you had looked into. And I would just like to propose

1 that maybe as a future topic to follow up on that.

2 CHAIRPERSON SCHWARZMAN: I was in a group
3 recently that was discussing a point that we are all
4 completely naive about, which is, is there anyway to
5 biomonitor for exposure to -- to microplastics? And is
6 there any literature, does anyone know anything about
7 biomonitoring from microplastic exposure?

8 And it might be that staff does a literature
9 review and the answer is no, but we were all ignorant of
10 that.

11 MS. HOOVER: I think it's great topic actually.
12 I don't know. Is anybody in the room, has anybody looked
13 into it? It's very interesting and important, I think.

14 DR. WALDMAN: This is Jed Waldman of the
15 Environmental Health Lab. Our laboratory is looking at
16 microplastics from an environmental point of view. But
17 we've been partnering with the U.S. EPA to look at them in
18 fish -- in sediments, water, and fish. So we've developed
19 methods that, you know, are quite invasive for humans, but
20 they are -- we're trying to identify ways to bioassay --
21 it might be better to call it a bioassay at this point.

22 But there are -- there are -- we're using
23 microspectroscopic means.

24 CHAIRPERSON SCHWARZMAN: There's so little known
25 about the health impacts of microplastic exposure. And it

1 seems like one of the ways into that -- I mean, is
2 understanding something about exposure. And I think at
3 least the little that I know about it, there's a
4 complicating issue of the health effects of any
5 microplastic exposure from the perspective of the
6 material. And then there's health effects of the -- what
7 adheres, absorbs to the microplastic, right? So it seems
8 like a very -- potentially a very complicated
9 biomonitoring question.

10 Eunha had something to add.

11 PANEL MEMBER HOH: I did some -- I did quite a
12 lot of work of the microplastics, more like environmental
13 samples and toxicity studies in fish. But there are quite
14 a lot of datas are emerging. I think it's very worthwhile
15 to check what is the current status. You know, all the
16 emerging information about -- there are the studies like
17 how much we are exposed to right now, you know, through
18 the food consumption.

19 You know, so -- but like health outcomes, their
20 animal models are, you know, found some toxicity, some
21 biologic activity. So I think it's very important to know
22 that -- what we know so far. I think it's an important
23 issue. Yeah.

24 CHAIRPERSON SCHWARZMAN: There must be something
25 based on the study in biota -- the available evidence in

1 biota about what matrices it gets into.

2 PANEL MEMBER HOH: It's so complicated that as
3 the chemicals are kind of leaching out and then we're
4 exposed to chemicals. But at the same time, the particles
5 themselves are toxic too. You know, so there are -- quite
6 of now, the -- actually the nice thing is that the experts
7 from the nanoparticles, those people are now coming into
8 this field, which I think is very, very good, you know,
9 because it's -- it's a very complex mixture of the
10 chemicals and physical matter and very tiny, tiny
11 particles, so...

12 CHAIRPERSON SCHWARZMAN: There was that report
13 that came some time in 2019 I think about the ubiquity of
14 microplastics in drinking water. And there was very
15 little that anyone could say about the importance of that
16 and whether --

17 PANEL MEMBER HOH: Exactly. And even the RT --
18 the air and rain, all kind of microplastics, it's just
19 emerging all the data, yes.

20 MS. HOOVER: Do either of you have suggestions on
21 a guest speaker, because that would be the most practical
22 way to tackle that?

23 PANEL MEMBER HOH: Definitely, I know one.

24 MS. HOOVER: Fantastic. Can you send me an
25 email?

1 PANEL MEMBER HOH: Yes. Yes.

2 DR. BRADMAN: I'll just say a couple of brief
3 things. There's actually a symposium on microplastics
4 just a few weeks ago, put in by -- put on by the San
5 Francisco Estuary Institute. And I don't know if you know
6 those folks, but it might be worth talking to some of
7 them. They had -- were reporting on measurements in the
8 San Francisco Bay and had a lot of information about types
9 of microplastic particles and where they're from. And I'm
10 just going to put a personal note out there. This is
11 something I really want to work on.

12 (Laughter.)

13 DR. BRADMAN: So if anyone, you know, is
14 addressing this issue would like to look for
15 collaboration, I'd be happy to help.

16 (Laughter.)

17 CHAIRPERSON SCHWARZMAN: That's powerful coming
18 from Asa given how much he's already working on.

19 (Laughter.)

20 CHAIRPERSON SCHWARZMAN: I'm personally shocked.

21 (Laughter.)

22 CHAIRPERSON SCHWARZMAN: Other topics that might
23 be of interest for 2020, knowing that this conversation
24 doesn't end here?

25 Eunha.

1 PANEL MEMBER HOH: I didn't talk about it, but I
2 want to just chime again the wildfire. It's something
3 that I'm -- it's just getting crazy, and especially so
4 important for Californians. So it's something that --
5 even though there's not data. It's very -- maybe thin,
6 but I think it's nice to -- there some kind of projects I
7 think were supported by NIEHS, the kind rapid response
8 funding mechanisms. So I think there is some projects
9 were done.

10 MS. CHRISTENSEN: You know, I just want to jump
11 in, and speaking on be behalf of Nerissa, who would
12 probably answer this question better, we are looking into
13 some of the rapid response funding and looking into how
14 biomonitoring can be worked into that.

15 It's not something we're taking on in this
16 current funding cycle. We're looking to one of the next
17 funding cycles. But they have several throughout the
18 year. So yes, we will be looking into essentially taking
19 what we were doing -- we had planned on doing for CDC and
20 our CDC proposal, making a few adjustments, and then
21 seeing how that might play out in California in our
22 response to wildfire.

23 CHAIRPERSON SCHWARZMAN: And am I right to think
24 that your thoughts around that, as a program, include
25 occupational exposures?

1 MS. CHRISTENSEN: Yes. Very much. Very much.

2 CHAIRPERSON SCHWARZMAN: In our most recent
3 event, I read somewhere about people who were evacuated
4 from fire zones and that some of the vineyards were
5 bringing buses to the shelters to pick up their workers to
6 go work in the vineyards. It was striking to me.

7 Nancy.

8 MS. BUERMEYER: Just related to the wildfire --
9 Nancy with Breast Cancer Prevention Partners -- there's
10 not only the workers around the firefighters, and I know
11 there are some studies being done around firefighters, I
12 think funded by the California Breast Cancer Research
13 Program, CBCRP, but also there's been a lot of talk about
14 the people who come and do the cleanup. So like the day
15 laborers and the domestic workers who come and clean the
16 mess that's left there. They have no protection under
17 OSHA and they rarely, if ever, have any kind of personal
18 protective equipment, much less training on how to do it.

19 So focusing on some of those populations and how
20 do we protect them, and see what they're exposures are
21 might be an aspect of that consideration.

22 CHAIRPERSON SCHWARZMAN: And California has a new
23 requirement coming out of Cal/OSHA that I'm not super up
24 on, but about respiratory protection for people who work
25 outside, not specifically with like fire cleanup, but

1 anyone who is working outside. And understanding those
2 exposures a little bit could be influential. It's a half
3 formed though. I'm sorry. Have informed thought.

4 Other topics for 2020?

5 A reminder of what's on the screen that
6 Biomonitoring is always happy to hear your thoughts about
7 topics for 2020. And you can -- and beyond. And you can
8 email them to biomonitoring@oehha.ca.gov.

9 MS. HOOVER: Let me ask just one last question.
10 This came up earlier in the meeting, which is marijuana
11 smoke. And I'm just interested to know the Panel's
12 interest, because that's not a designated chemical
13 currently. So like you, I -- we have -- you had to pick
14 one for 2020. It's going to be QACs. But what's the
15 level of interest in marijuana smoke or any other
16 potential chemical to put on our list for tracking for
17 preliminary screening?

18 We have the previously screened classes that we
19 are continuing to track. But any thoughts on that? I'm
20 always interested to hear about emerging chemicals or
21 other things you might want us to keep on our list to
22 track.

23 CHAIRPERSON SCHWARZMAN: At risk of betraying my
24 first profession as an M.D., my bias about that, just as
25 one comment, is not that it's not important, but that

1 there's so much more attention around from the health
2 community things that will be trained on marijuana smoke.
3 And by comparison, all other environmental exposures
4 are -- receive so little attention that it's a role that
5 biomonitoring can keep playing, because no one else is, as
6 opposed to something like marijuana smoke exposure, which
7 will be covered by other fields.

8 I'm happy to be disagreed with.

9 PANEL MEMBER QUINTANA: I brought it up earlier,
10 but not in the context of studying it directly. But if
11 you're measuring, you know, VOCs or PAHs, metabolites in
12 someone's urine to ask about it as a explanation or
13 confounder to that measurement is how I brought it up.
14 Not just a focus area.

15 DIRECTOR ZEISE: This is an environmental
16 exposure that -- related to this that I think is worth
17 noting and possibly -- and I don't know how extensive it
18 is, but we have gotten some inquiries from residents from
19 air districts who are getting complaints from residents
20 where marijuana is being cultivated. And I think there's
21 not a lot of understanding there. And I don't know what
22 would be monitored but it is an issue.

23 CHAIRPERSON SCHWARZMAN: Any other final thoughts
24 before we move on?

25 Okay. Our final agenda item is an open -- a call

1 for open public comment from within the room and from the
2 web. Is there anything emailed?

3 MS. HOOVER: Nothing emailed.

4 MS. BUERMEYER: Hi. Nancy Buermeyer, Breast
5 Cancer Prevention Partners. I wanted to harken back to
6 something that Dr. Quintana talked about this morning,
7 which is about the funding for the Program. And the
8 question that was raised is how do we deal with the lack
9 of funding.

10 And the flip side that I want to talk about is
11 the interest on the behalf -- on behalf of the advocates
12 who care deeply about this Program about fixing the
13 funding problem as opposed to having to accommodate to it.

14 So there is a lot of interest among a number of
15 different organizations in going to the Governor's office
16 and going to the State Legislature to ask for a stable
17 general funding account for this Program, as opposed to
18 the special accounts that you currently use.

19 I have no idea how successful that is going to
20 be. But I will say, and I've talked to Dr. Schwarzman
21 about this, having the support of this Panel, and not just
22 the eight or ten of you, however many there are, but any
23 of your colleagues around the state that care about this
24 Program that are scientists who are willing to speak up
25 and talk about the importance of this Program, we will be

1 working with environmental -- or health groups and
2 environmental health organizations and environmental
3 justice groups to try to build that support.

4 We're not exactly sure how it might move forward,
5 but I just wanted to say that there is interest in that.
6 And, you know, nothing is ever guaranteed when it comes to
7 getting money out of the State government. But it is
8 something that people are talking about and care deeply
9 about. So anything you guys can do to support us around
10 that would be much appreciated.

11 CHAIRPERSON SCHWARZMAN: One final call for any
12 public comments before we adjourn?

13 Nothing.

14 Anything from the Panel or in the room?

15 Thank you to all our presenters from within the
16 Program and without. It was exciting today to hear
17 results, and the results of data analysis. And I want to
18 acknowledge the amount of work that's behind all that, not
19 just -- I mean, the data analysis is tremendous work, but
20 all of the work that went into designing and conducting
21 the story -- studies that enable to do the analysis. And
22 it's -- it's an exciting point to get to where we actually
23 get to see some results. And so thank you to everyone who
24 contributed to the meeting.

25 And a transcript of this meeting will be posted

1 on the Biomonitoring California website when it's
2 available. And the next SGP meeting, as Sara said, will
3 be on March 6th in Sacramento. Thank you to everyone for
4 your contributions today, and we'll adjourn the meeting.

5 (Thereupon the California Environmental
6 Contaminant Biomonitoring Program, Scientific
7 Guidance Panel meeting adjourned at 4:19 p.m.)
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25


1 C E R T I F I C A T E O F R E P O R T E R

2 I, JAMES F. PETERS, a Certified Shorthand
3 Reporter of the State of California, do hereby certify:

4 That I am a disinterested person herein; that the
5 foregoing California Environmental Contamination
6 Biomonitoring Program Scientific Guidance Panel meeting
7 was reported in shorthand by me, James F. Peters, a
8 Certified Shorthand Reporter of the State of California,
9 and thereafter transcribed under my direction, by
10 computer-assisted transcription.

11 I further certify that I am not of counsel or
12 attorney for any of the parties to said meeting nor in any
13 way interested in the outcome of said meeting.

14 IN WITNESS WHEREOF, I have hereunto set my hand
15 this 17th day of November, 2019.

16
17
18
19
20
21


22 JAMES F. PETERS, CSR
23 Certified Shorthand Reporter
24 License No. 10063
25