

CALIFORNIA ENVIRONMENTAL CONTAMINANT BIOMONITORING PROGRAM
(BIOMONITORING CALIFORNIA)
SCIENTIFIC GUIDANCE PANEL MEETING
CONVENED VIA WEBINAR BY:
OFFICE OF ENVIRONMENTAL HEALTH HAZARD ASSESSMENT
CALIFORNIA ENVIRONMENTAL PROTECTION AGENCY
STATE OF CALIFORNIA

FRIDAY, NOVEMBER 18, 2022
1:00 P.M.

JAMES F. PETERS, CSR
CERTIFIED SHORTHAND REPORTER
LICENSE NUMBER 10063

APPEARANCES

PANEL MEMBERS:

Megan R. Schwarzman, MD, MPH, Chair

Carl Cranor, PhD, MSL

Lara Cushing, PhD, MPH

Oliver Fiehn, PhD

Eunha Hoh, PhD, MSES

Ulrike Luderer, MD, PhD

Thomas McKone, PhD

Penelope (Jenny) Quintana, PhD, MPH

José R. Suárez, MD, PhD, MPH

OFFICE OF ENVIRONMENTAL HEALTH HAZARD ASSESSMENT:

Vince Cogliano, PhD, Deputy Director, Scientific Programs

Cheryl Holzmeyer, PhD, Health Program Specialist, Safer Alternatives Assessment and Biomonitoring Section, Reproductive and Cancer Hazard Assessment Branch

Stephanie Jarmul, MPH, Senior Environmental Scientist, Safer Alternatives and Biomonitoring Section, Reproductive and Cancer Hazard Assessment Branch

CALIFORNIA DEPARTMENT OF PUBLIC HEALTH:

Kathleen Attfield, ScD, Chief, Biomonitoring Investigations and Outreach Unit, Exposure Assessment Section, Environmental Health Investigations Branch

Dina Dobraca, MPH, Research Scientist III, California Department of Public Health

APPEARANCES CONTINUED

CALIFORNIA DEPARTMENT OF PUBLIC HEALTH:

Jianwen She, PhD, Chief, Biochemistry Section,
Environmental Health Laboratory Branch

Jeff Wagner, PhD, Chief, Environmental Health Laboratory
Branch

Nerissa Wu, PhD, MPH, Chief, Exposure Assessment Section,
Environmental Health Investigations Branch

GUEST SPEAKERS:

Nayamin Martinez, MPH, Central California Environmental
Justice Network

Gina Solomon, MD, MPH, Public Health Institute, University
of California, San Francisco

INDEX

	<u>PAGE</u>
Welcome	
Vince Cogliano, PhD, Deputy Director, Office of Environmental Health Hazard Assessment (OEHHA)	1
Overview of the Meeting	
Meg Schwarzman, MD, MPH, Chair, Scientific Guidance Panel (SGP)	3
Program Update and Planning	
Presentation: Nerissa Wu, PhD, MPH, California Department of Public Health (CDPH)	6
Panel Questions	24
Public Comment	39
Panel Discussion and Input	39
FRESSCA-Mujeres: Protecting Farmworker Women in the Central Valley from Wildfire Smoke	
Presentation: Nayamin Martinez, MPH, Central California Environmental Justice Network and Gina Solomon, MD, MPH, Public Health Institute and UC San Francisco	61
Panel and Audience Questions	79
Open Discussion Period	98
Plan for 2023 SGP Meetings	
Presentation: Stephanie Jarmul, MPH, OEHHA	108
Panel and Audience Questions	110
Open Public Comment Period	115
Wrap-up and Adjournment	119
Reporter's Certificate	121

1 themselves. I'll call on you in alphabetical order by
2 last name. Please unmute yourself and state your name and
3 affiliation.

4 First, Carl Cranor.

5 PANEL MEMBER CRANOR: Carl Cranor, Distinguished
6 Professor of Philosophy, faculty member of Environmental
7 Toxicology at the University of California, Riverside.

8 DR. COGLIANO: Thank you.

9 Laura Cushing.

10 PANEL MEMBER CUSHING: Hi. I'm Laura Cushing.
11 I'm an Assistant Professor in the Fielding School of
12 Public Health, Environmental Health Sciences at the
13 University of California, Los Angeles.

14 DR. COGLIANO: Oliver Fiehn.

15 PANEL MEMBER FIEHN: Hi. My name is Oliver
16 Fiehn, full Professor at University of California at Davis
17 at the Genome Center.

18 DR. COGLIANO: Eunha Hoh.

19 PANEL MEMBER HOH: Hi. I'm Eunha Hoh. I'm a
20 Professor and Division Head of Environmental Health at the
21 School of Public Health at San Diego State University.

22 DR. COGLIANO: Ulrike Luderer.

23 PANEL MEMBER LUDERER: Hi. I'm Ulrike Luderer.
24 I'm Professor in the Department of Environmental and
25 Occupational Health and Director of the Center for

1 Occupational and Environmental Health at the University of
2 California, Irvine.

3 DR. COGLIANO: Tom McKone.

4 PANEL MEMBER MCKONE: Hello. Good afternoon.

5 I'm Tom McKone, Professor Emeritus of Environmental Health
6 Scientist -- Sciences at the University of California,
7 Berkeley, School of Public Health.

8 DR. COGLIANO: Jenny Quintana.

9 PANEL MEMBER QUINTANA: Hi. My name is Penelope,
10 or nickname Jenny, Quintana. I'm a Professor of
11 Environmental Health at the San Diego State University
12 School of Public Health.

13 DR. COGLIANO: José Suárez.

14 PANEL MEMBER SUÁREZ: Hi. José Suárez, Associate
15 Professor in the Herbert Wertheim School of Public Health
16 at the University California, San Diego.

17 DR. COGLIANO: And now our chair, Meg Schwarzman.

18 CHAIRPERSON SCHWARZMAN: Hi, there. Meg
19 Schwarzman. I'm on faculty at UC Berkeley School of
20 Public Health, Environmental Health Sciences Division and
21 I'm also a family physician. Thank you all for being
22 here. It's nice to have a quorum. It's nice to have
23 everybody here. I mean, we always have a quorum. It's
24 nice to have everyone here.

25 So the thing that we need to start with is a

1 reminder for Panel members to comply with Bagley-Keene
2 requirements. And that is that all discussions and
3 deliberations of the Panel need to be conducted during the
4 meeting and not at breaks or with individual members of
5 the Panel, either on- or off-line, including via phone,
6 email, chats, or text messages.

7 And so I want to announce the Panel goals for the
8 meeting. As usual, we'll start with an update on Program
9 activities, including the AB 617 community biomonitoring
10 studies and we'll follow that with a discussion to gather
11 input from Panel members and the public that will inform
12 the Program's priorities for upcoming work. And we'll
13 also be hearing from our guest speakers on the
14 FRESSCA-Mujeres project. That's -- FRESSCA stands for
15 Filtration for Respiratory Exposure to wildfire Smoke from
16 Swamp Cooler Air.

17 And the Program -- the Biomonitoring Program is
18 planning to add an exposure biomonitoring component onto
19 that project.

20 There, as usual, will be time for questions from
21 the Panel and the audience after each presentation.
22 During the question periods after each talk, so you know
23 how it will happen in this remote format -- speakers
24 please remain unmuted with your webcam showing, so that
25 you can respond to questions from the Panel and from the

1 audience. And if SGP Panel members want to speak or ask a
2 question, please raise your hand. I'll call on you at the
3 appropriate time. You can physically raise your hand. It
4 would also work if you put the raise hand function on
5 Zoom, but I'll be watching. And you can then, of course,
6 unmute yourself and ask your question or provide your
7 comment.

8 If attendees of the webinar have questions or
9 comments during those question periods after each talk,
10 you can submit them via the Q&A feature of Zoom webinar or
11 by email to biomonitoring@oehha.ca.gov. That's
12 biomonitoring@oehha.ca.gov. We won't be using the chat
13 function of the webinar during the meeting. So keep your
14 comments brief and focused on the items under discussion.
15 We will read aloud any relevant comments, paraphrasing as
16 necessary. If webinar attendees wish to speak during the
17 public comment periods and discussion sessions, please use
18 the raise hand feature in Zoom and I'll call on you.

19 So to start with our update on the Program, I
20 want to introduce Nerissa Wu. Nerissa is Chief of the
21 Exposure Assessment Section in the Environmental Health
22 Investigations Branch, or EHIB, of the California
23 Department of Public Health, CDPH, and the overall Lead
24 for Biomonitoring California. She will give an update on
25 current Program activities and provide information related

1 to future planning.

2 (Thereupon a slide presentation).

3 DR. WU: Hi, everyone. Give me a minute to share
4 my screen.

5 All right. Does everyone see that?

6 CHAIRPERSON SCHWARZMAN: Looks good.

7 DR. WU: That's sort of assent.

8 All right. Well, good afternoon, everyone and
9 welcome. Thanks for joining us.

10 --o0o--

11 DR. WU: I'm going to spend my time giving some
12 administrative updates about the Program and then I'll
13 talk through some different Program activities focusing
14 first on our surveillance work and then moving along to
15 our community biomonitoring projects. I'll talk about
16 some of the activities taking place in our labs before
17 finishing up with some work that we are doing on our new
18 communications team.

19 --o0o--

20 DR. WU: So in the past, I have talked a little
21 bit about how our new budget has enabled us to add a
22 number of positions. So we've gone through kind of an
23 enormous administrative task of getting those positions
24 created and having people interviewed and everything. So
25 we're starting to see fruition from that.

1 I'm very pleased to announce that we have four
2 new staff people here at EHIB. We have Kelly Chen and
3 Toki Fillman joining us in Kathleen's Epi Unit. And we
4 have Kiera Melton and Andrew Tan who are part of the
5 Outreach and Communications Unit. So welcome to them all.
6 We're looking forward to having them learn all about
7 biomonitoring and contribute to the Program.

8 Unfortunately, I do have to announce that Adam
9 D'Amico, who is a Research Scientist, has left our
10 Program. You might not be familiar with his name. He
11 didn't have the opportunity to present at this forum
12 during his time with Biomonitoring, but he was actually a
13 key architect of the CARE Study and instrumental in our
14 work to put together the CARE report. So I just want to
15 acknowledge him and thank him for all of his hard work.

16 We do have an APHL Fellow also joining us in
17 EHLB, Jon Gallardo, who is now working with Jianwen and
18 his staff to learn about and help optimize all of our lab
19 methods. So welcome to all of you.

20 --o0o--

21 DR. WU: There are still a number of open
22 positions in the different components of Biomonitoring and
23 actually in many statewide programs overall. So I just
24 want to highlight that there are many positions posted for
25 research scientists, health educators, toxicologists. So

1 if anyone on the line is interested in joining a very
2 dynamic and very passionate group of people working on all
3 these important issues, please visit these websites to
4 learn about job postings or contact us. I'm always happy
5 to talk to people about what it's like to work for the
6 state.

7 Oh, whoops. Oh, no. I think I've gone to the
8 website. Hold on. Let me go back to my slides.

9 --o0o--

10 DR. WU: Alright. Well, now let me talk about
11 our surveillance work starting with the California
12 Regional Exposure Study, or CARE. And we have talked
13 about this in this forum before that for all CARE
14 participants, we do metals and PFAS analyses. And those
15 analyses have been completed and results returned to
16 participants, but there are some analytes for which only a
17 subset of participants are included.

18 For example, for phenols, because of time
19 constraints, we weren't able to include all participants,
20 so only 60 CARE-LA participants, and those were all women,
21 and only 150 CARE-2 participants were included in the
22 phenols subset. We also don't measure inorganic arsenic
23 in all participants. Typically, everyone gets urinary
24 arsenic and we measure total arsenic in that round. But
25 then for people who meet the 19.5 micrograms per liter

1 threshold for total arsenic, we then speciate the arsenic.
2 And people who meet or exceed our level of concern for
3 inorganic arsenic are then followed up on.

4 But this means that we have limited data on
5 inorganic arsenic levels in the population. We have 20 LA
6 participants and 10 CARE-2 participants for whom we have
7 inorganic arsenic data. But this coming year, EHLB is
8 going to help us run phenols and speciated arsenic on
9 additional participants, so that will enable to us share
10 more data with those participants which is a bonus, but it
11 will also enable us to calculate population estimates and
12 support more robust statistical analyses to look at things
13 like demographic differences and exposure factors for
14 those panels.

15 --o0o--

16 DR. WU: Going forward, we're going to be using
17 the Genetic Disease Screening Program banked samples for
18 surveillance. And a quick reminder that GDSP provides
19 prenatal and newborn screening to Californians. And
20 approximately 70 percent of pregnancies in California go
21 through this prenatal program. And that involves the
22 collection of a first trimester and a second trimester
23 serum sample to assess the risk of genetic diseases. And
24 the second trimester samples from seven counties,
25 highlighted here in green are banked as part of the

1 challenge of assessing exposures across the state by
2 grouping counties into regions.

3 MAMAS samples were racially balanced, evenly
4 divided between White, Black, and Hispanic, and Asian
5 mothers, so not reflective of the population. We obtained
6 samples from 2012, 2015, and 2016 pregnancies from the
7 regions you see listed here. And we focused on POPs and
8 PFAS analyses for those samples. And we're actually
9 almost to the point of posting MAMAS data from all those
10 different phases on our website.

11 But we've used our lessons from MAMAS to design
12 this new phase of surveillance Studying Trends in
13 Exposures in Prenatal Samples, or the STEPS study. And
14 for STEPS, we are going to use random sampling or
15 stratified random sampling to generate population data.
16 And as I mentioned earlier, sampling from Biobank enables
17 us to generate a really solid population estimate among
18 pregnant Californians, which we can then use to understand
19 time trends. So our plan is to implement both
20 retrospective and prospective sampling, so we can maximize
21 our coverage of California both geographically and
22 temporally.

23 --o0o--

24 DR. WU: A reminder of some of the challenges we
25 face with Biobank samples; it does only include those

1 seven counties, so that's not full coverage of the state.
2 The samples are serum only and it's very low volume, so
3 that limits the types of panels that can be run. And our
4 lab can analyze about 500 samples per year for PFAS. And
5 I am -- I keep mentioning PFAS, which really is the
6 priority for this project at the time, but we do hope to
7 be able to include other analyses, as we have available
8 sample volume and appropriate methods in the future.

9 --o0o--

10 DR. WU: So for the retrospective part of this
11 sample of the study, our plan is to focus on two Biobank
12 counties. We're going to link GDSP data with the vital
13 stats birth record data to create a sampling frame of
14 eligible samples and our eligibility criteria. The mother
15 has to participate in the statewide Program, of course,
16 and then they have to be eligible for Biobanking, meaning
17 that no Kaiser patients are included, and also pregnancies
18 with a diagnosed genetic disease are not included. And
19 we'll be including live singleton births and nulliparous
20 individuals. And that's so that we can eliminate the
21 variability that prior pregnancies or breast feeding would
22 introduce.

23 We'll also limit the data in some ways by
24 maternal age, gestational age, and gestational weight just
25 to frame our cohort and also to eliminate erroneous data

1 from data entry errors. So we've done power calculations
2 and we've determined that if the trends seen in NHANES
3 among 18 to 49 year old females holds true for
4 Californians, then our data, with our 500 samples per year
5 spread between three time points should have sufficient
6 power to detect temporal trends in most of the legacy
7 PFASs.

8 Because we want to be able to characterize
9 current PFAS levels as well, we want to include the most
10 recent samples available from Biobank, so that would be
11 2021 pregnancies. And then we'll work our way backwards
12 in time to create time trends. And so our current thought
13 is that we would include 2015, 2018, and 2021 pregnancies,
14 but this is still under some debate. And I should say
15 that for any one of our study design decisions, we've
16 really debated these options. And based on literature and
17 input from other researchers are just trying to make the
18 best guess as to what our study design would give us the
19 most valuable information.

20 But there are obviously trade-offs for any
21 decision we make. We could go back further in time, maybe
22 to 2010 or 2012, but we would either then miss our more
23 current data or we would have to stretch our time trend
24 out over more periods of time -- over a longer period of
25 time. So we really need to think about what time period

1 is most important for us to understand.

2 Another example is that in selecting where we
3 pull samples from, we've decided to go with two Biobank
4 counties instead of focusing on one. And that will give
5 us better coverage of California and an understanding of
6 if there are differences in temporal trends in different
7 areas, but we might be giving up the ability to look at
8 demographics in any particular county, because we just
9 won't have the numbers of samples to look at that. So as
10 you know, anytime you're designing a study, there are
11 trade-offs, and that's something we're wrestling with.

12 --o0o--

13 DR. WU: In a second phase of steps, we would
14 like to sample prospectively from a non-Biobank county.
15 And this is pending negotiation with GDSP, because there's
16 not the same mechanism like Biobank to save and obtain
17 these samples. Birth records aren't available for births
18 until one to two years post-birth, so we don't have the
19 same opportunity to set up that sampling frame. And
20 there's some information that we don't have until that
21 birth record is available.

22 So our plan is to randomly sample from the
23 selected county and we'll oversample, recognizing that
24 some of the samples are not going to meet our inclusion
25 criteria, but retrospectively we will get the birth

1 records for those samples and then we can go back and
2 identify which samples are eligible.

3 So, for example, parity information on a
4 pregnancy is not available from GDSP. It's not available
5 until we get the birth record. So we know that when we
6 pull samples, there will be multiparous pregnancies in
7 there and we can identify them retrospectively and either
8 decide not to analyze them or we could analyze them and
9 then adjust or stratify for parity when we do our
10 statistical analysis. And certainly there are things we
11 could learn from that data as well.

12 And just a reminder for the non-Biobank samples,
13 there is more volume available, because they're not split
14 with the Biobank, and so there is a greater potential for
15 additional analyses.

16 --o0o--

17 DR. WU: So what this gives us, if all goes as
18 planned, and I'm sorry this slide is just so super busy,
19 is that we'll have samples from three time points from two
20 different Biobank counties. And they're represented here
21 as Counties A and B. The lab will analyze those over the
22 next two years. And then in 2024, we'll sample
23 prospectively from a non-Biobank county, that's County C.
24 And when we get to 2025, we'll be able to grab another
25 time point from Counties A and B and then we'll move

1 with this study.

2 But our questions are which criteria should we be
3 considering for selecting counties for retrospective
4 samplings. And I should say that for one of these
5 counties, we're really strongly leaning towards Orange
6 County, given its known drinking water and PFAS issues.
7 And that there have been some interventions that have
8 taken place over the last few years with wells being taken
9 offline.

10 So for the second county, there are just a lot of
11 things to consider. Do we want a county that's somewhat
12 similar to Orange County demographically or
13 geographically, or do we want a county that's really
14 different, like one of the Central Valley counties? Could
15 we assume that PFAS levels are similar in the Central
16 Valley counties and maybe think of Central Valley as a
17 region or do we really want to focus on one county from
18 Central Valley?

19 While we've been focusing on PFAS, there are also
20 these opportunities to do other analyses. So if there's a
21 potential difference in exposure between Orange County and
22 the second county that we really want to learn about
23 that's something else to consider.

24 We have a similar question for our prospective
25 sampling. We are limited in which -- in that we have to

1 work out an agreement with a prenatal screening lab to
2 grab samples from them. But within that, what are the
3 criteria we should be considering in our selection for --
4 of a county for prospective sampling. So again, that
5 would be counties that are not included in Biobank.

6 And finally, our criteria for sample selection
7 have been really focused on parity again to control
8 variability that might be introduced by prior pregnancies
9 or breast feeding. And we're focused on live singleton
10 births, but are there other criteria that you might want
11 to suggest for us to consider for exclusion.

12 And I'm going to move on from this slide, but we
13 can put it back up during the discussion for a prompt for
14 our questions.

15 --o0o--

16 DR. WU: So I'm going to turn to our
17 community-focused studies and I'm going to provide some
18 updates on the current activities for our ongoing studies
19 on the Stockton Air Pollution Exposure Project, or SAPEP
20 and BiomSPHERE, the Biomonitoring Component of the San
21 Joaquin Valley Pollution and Health Environmental Research
22 Study. I'm also going to briefly describe plans for the
23 next community biomonitoring project, which is an add-on
24 to the Filtration for Respiratory Exposure to wildlife
25 Smoke from Swamp Cooler Air, the FRESSCA-Mujeres Project.

1 And then we're going to be hearing details about
2 the overall FRESSCA-Mujeres project from our guest
3 speaker. So I will just touch briefly on that.

4 --o0o--

5 DR. WU: For SAPEP, we anticipate sending our
6 first packet of results to participants in January. And
7 that's going to include biomarkers of exposure, so PAHs,
8 VOCs, and nicotine. And then an additional packet of
9 results for biomarkers of oxidative stress and
10 inflammation will follow later in 2023. So they'll be
11 getting two different sets of information. We're also
12 following up on SAPEP with an air monitoring study, which
13 is going to compare indoor and outdoor PM2.5 ratios before
14 and after replacement of the school's MERV 6 filters with
15 MERV 13 filters. And that will be in classrooms with and
16 without portable air purifiers.

17 And I think last time we met, we talked a lot
18 about whether or not those purifiers were actually on or
19 whether teachers were turning them off because of the
20 noise. Well, the project will include the installation of
21 data loggers on those air purifiers so that we can
22 actually track when they're being used. And then we'll
23 continue to work with our community partners on the ways
24 we can best distribute the findings of the study.

25 --o0o--

1 DR. WU: For BiomSPHERE, participant recruitment
2 and fieldwork are scheduled to begin in the next few
3 weeks. And the biomonitoring component of this is going
4 to include collecting urine samples and administering pre-
5 and post-sampling questionnaires, which are available both
6 in English and Spanish. There's also an environmental
7 sampling component collecting air samples at participant
8 homes and conducting personal air sampling for PM2.5, and
9 that fieldwork is scheduled to continue through July.

10 --o0o--

11 DR. WU: So that was a super brief overview of
12 those studies. We have talked in more detail about them
13 at past meetings. So if you're interested in more
14 information, we do have the project pages on our website.
15 We have a new BiomSPHERE page up. We also have gone into
16 detail at previous SGP meetings and we have links to those
17 meetings on our website as well. And, of course, Susan
18 and Stephanie are here, if anyone has a question about
19 those studies.

20 --o0o--

21 DR. WU: For our next community biomonitoring
22 project, we're planning to add biomonitoring to the
23 FRESSCA-Mujeres Study. And the fieldwork for this is
24 scheduled to begin in the spring.

25 --o0o--

1 DR. WU: So very briefly, the primary objectives
2 of the biomonitoring component of this project are to
3 measure urinary biomarkers for certain air pollutants,
4 VOCs and PAHs, during normal conditions and then again
5 during a wildfire event. The participants will be the 50
6 female agricultural workers that were enrolled in the
7 FRESSCA-Mujeres Study. And this work is going to help us
8 understand air pollution exposures in Kern and Fresno
9 counties and it will also help the evaluation of the
10 effectiveness of these air filtration systems.

11 So rather than go into more detail now, I'm just
12 going to leave it at that. We have Gina Solomon and
13 Nayamin Martinez coming after me to talk about the study
14 in more detail. So actually in our discussion, I'll ask
15 that you hold questions about the study until they have a
16 chance to talk about it in more detail.

17 --o0o--

18 DR. WU: On the lab side, for the Environmental
19 Health Lab, as I said earlier, the lab will be conducting
20 additional analyses for the CARE study. So thanks to them
21 for that effort. They are also going to continue to work
22 on the method for urinary VOC metabolites measuring 30
23 metabolites from 21 parent VOC compounds. This method is
24 in its final stages of development and we're hoping to
25 validate in early 2023. The lab is also working on the

1 speciated urinary mercury method to measure inorganic
2 mercury and monomethyl mercury. They're currently looking
3 for a certified isotope-labeled standard to validate the
4 method. And they're also learning more about how the
5 samples need to be preserved after collection. That's on
6 a similar time frame. We hope that the method will be
7 ready for use in early 2023.

8 --o0o--

9 DR. WU: Over in the Environmental Chemistry Lab,
10 they've completed validation of the expanded PFAS
11 measure -- method, so they can now measure 44 PFASs, 37 of
12 which have a method detection limit between 0.01, 0.01--
13 0.05. And then there are an additional seven analytes
14 with a slightly higher MDL. And the new list includes
15 GenX and ADONA, two of the replacement PFASs that we have
16 wanted to track. So it's really awesome. ECL is
17 currently using this method to analyze paired serum and
18 plasma samples that were collected as part of the
19 Intra-Program Pilot study. So in early 2023, we should
20 have data from this new method and that will include data
21 from these different sample media that we can compare.

22 --o0o--

23 DR. WU: And finally, our Communications Team.
24 I've mentioned in the past that the new funding enabled us
25 to create an entire unit focused on outreach and

1 exciting.

2 And I had one question. I appreciated your
3 presentation of the power calculations, because we always
4 have that question, right? You do, too. And one thing
5 that jumped out at me was the -- that they were based on
6 the NHANES levels. And we could talk offline about this
7 in more detail, because we're working on a manuscript
8 right now that presents some data that we got from the
9 Restricted Data Center at CDC, that let us compare
10 California levels measured in NHANES to the general NHANES
11 levels. And for PFAS, we found significantly lower levels
12 in the California population. So you're probably already
13 aware of this and have compared your own results to
14 NHANES. But if there's anything else that would be
15 helpful, we haven't published the manuscript yet, so we
16 could work with you, if any of that information would be
17 helpful.

18 DR. WU: Yeah, we have done our own comparison of
19 the CARE data, of course. And then we don't have the
20 restricted access NHANES data, but we've taken a look at
21 all of the data we've collected through our different
22 studies and in the literature. And we do see that for
23 some of the PFASs, California is lower. But we -- this is
24 maybe a more detailed conversation than we can get into
25 here, but I wonder if Kathleen or Dina wants to address

1 this, since it was their work.

2 CHAIRPERSON SCHWARZMAN: Sure. And I just wanted
3 to raise that we have this additional source of data if
4 that's helpful to you in thinking about those power
5 calculations. I know that you all are doing a very
6 thorough job of this, so I didn't mean to like question
7 the work, just say that we have additional data from the
8 Restricted Data Center that we could -- that we can share,
9 because we're about to publish it, right?

10 DR. WU: And you are able to share, I mean --

11 CHAIRPERSON SCHWARZMAN: Yeah, the data that's --
12 that will be in our -- that we'll be in it's -- that will
13 be in our publication, sure.

14 DR. WU: Okay. Great.

15 CHAIRPERSON SCHWARZMAN: We don't have anything
16 that we can't share.

17 Kathleen, did you want to add to that?

18 DR. ATTFIELD: Yeah. I'm sorry. My camera
19 doesn't seem to be working at the moment. Thank you for
20 that actually. We are additionally looking for other
21 sources of trend information to, you know, double-check
22 our calculations.

23 Just to clarify, that we're using NHANES mostly
24 to do the power calculation for the trend, so not just for
25 levels, but make -- having to make the assumption that if

1 we see the same kind of trend continuing, would we be able
2 to capture that within how we divide our number of samples
3 over the number of years.

4 Yeah. And to point out that yeah, we do see
5 racial trends in our CARE data, especially with lower
6 levels of PFAS in Hispanic populations, so that may --
7 because NHANES does, you know, target Los Angeles
8 specifically a lot for enriching the Hispanic component of
9 NHANES, that some of the sources of data that rely on
10 NHANES within California, you know, may have a little bit
11 of the bias lower. But, yeah, thank you for the offer.
12 We would be really interested in making sure we look at
13 different trend data sets.

14 CHAIRPERSON SCHWARZMAN: Jenny.

15 PANEL MEMBER QUINTANA: Hi, Nerissa. Thank you
16 for that talk. And I was thinking about that slide that
17 you lingered on, because you said there was a lot of
18 numbers there. I think it was the sample sizes.

19 That one, I think.

20 And I don't recall if we already discussed this,
21 and I apologize if we did, but if you're looking for time
22 trends and you have relatively low numbers here, compared
23 to say an NHANES sample of thousands and thousands, have
24 you thought about pooling the samples, because then you
25 could -- you could really look at the time trend with a

1 more robust -- samples where you pooled, samples that you
2 said -- pull 10 samples at a time or something. Have you
3 thought about pooling samples to kind of increase your
4 sample size, but still being able to look at time trends
5 or not? I think that was done in the early work on the
6 flame retardants quite a bit.

7 Thank you.

8 DR. WU: Yeah, and NHANES does only provide
9 pooled sample results for flame retardants at this point.

10 PANEL MEMBER QUINTANA: No. No. Pooling the
11 samples before you analyze them.

12 DR. WU: Yes. Yes.

13 PANEL MEMBER QUINTANA: Yeah. Yeah. Sorry,
14 that's what I mean.

15 DR. WU: That's right.

16 Yeah, I mean, we have talked about pooling
17 samples, not only for MAMAS, or STEPS, or for other
18 samples as well, because of the advantages you've pointed
19 out, but I think there are some issues with like what does
20 that represent when you pool? And you have to think about
21 what parameters you'll use to define those pools and
22 whether you can make assumptions about the similarity
23 between those samples. Like, do you pool based on race or
24 demographics? I mean, you would have to make some
25 assumption that those -- that you're not missing some

1 variability within that -- within that strata. So, I
2 mean, it's possible we could do this at some point.

3 I think with our PFAS focus, we have the volume
4 and we should -- we should learn what we can with the
5 samples without pooling, but I would envision that going
6 forward, like if we've established this methodology and
7 feel comfortable with doing pooling over different strata,
8 that is something that we would consider doing. This kind
9 of sample actually does lend itself well to that, because
10 we don't have a results return component of it.

11 PANEL MEMBER QUINTANA: Right, because, I mean,
12 you are making assumptions when you pool, but you're also
13 making assumptions when you have low sample numbers that
14 they are comparable as well. Know what I mean? So kind
15 of a trade-off.

16 Thank you.

17 CHAIRPERSON SCHWARZMAN: Ulrike.

18 PANEL MEMBER LUDERER: Yeah. Hi. Thank you for
19 that great overview of all the wonderful work that the
20 Program is doing. My question was, it's a really striking
21 thing looking at the Genetic Diseases Screening Program
22 counties that are -- that are Biobanked is that it's not
23 very geographically representative. And I was wondering
24 is there -- is there -- maybe this has been talked about
25 before, but was there a particular reason for that or

1 anything? It doesn't seem random. Let's put it that way.

2 DR. WU: I think it's based on where the Birth
3 Defects Monitoring Program had set up their ongoing
4 surveillance, but that is -- I mean, the Biobank is
5 outside of our purview. And, yeah, it is kind of an odd
6 selection of counties, I guess, but that's not something
7 that we can -- we can impact. We do hope that with
8 negotiations with the GDSP, we will be able to, you know,
9 expand beyond this, because, I mean, there's just a lot to
10 learn. And I think that question of whether we can assume
11 that one county represents or two counties represent the
12 State, we really want to take a look at that and
13 understand, you know, if a place like Orange County, which
14 has had some interventions and has been very active in the
15 whole PFAS monitoring world, whether that has a different
16 profile and a different time trend than another county.
17 That's something we really hope to understand with this
18 work.

19 PANEL MEMBER LUDERER: Thank you.

20 CHAIRPERSON SCHWARZMAN: José.

21 PANEL MEMBER SUÁREZ: Yeah. Well, while we're on
22 this slide -- I have a couple questions, but while we're
23 on this slide. So, you mentioned there that non-Biobanked
24 samples may be available in the larger quantity than the
25 0.5.

1 DR. WU: Um-hmm.

2 PANEL MEMBER SUÁREZ: And I suppose it's
3 really -- it depend -- it would depend on how agile the
4 Program is to actually secure those samples, because it
5 sounds like they only hold on to them for like a month
6 maybe or --

7 DR. WU: That's right.

8 PANEL MEMBER SUÁREZ: -- how long -- yeah, one
9 month. That's right.

10 DR. WU: Um-hmm. Yeah.

11 PANEL MEMBER SUÁREZ: So in that sense -- okay --
12 okay. I think that opens up a lot of stuff. And I guess
13 the question is would they be amicable for you to store
14 some of those samples so you can keep measuring other
15 stuff into the future that you want?

16 DR. WU: Yeah. So let's see, there are a few
17 things I want to address in there. The samples are
18 roughly twice the volume, because for Biobank, they split
19 them in two aliquots. They hold on to one. So we might
20 be able to get almost one ml. for each of those. And
21 yeah, that enables us to do other analyses. Although, in
22 the past, we have had trouble with POPs, because for POPs,
23 you need to do a lipid analysis and you just need more
24 sample, so that's been a challenge to us.

25 Non-Biobank labs typically just hold on to them

1 to confirm their genetic disease results. And then at the
2 end of the month, I believe they clear out their storage.
3 But what our hope is is that, and we have done this before
4 for MAMAS, we've -- we'll be able to negotiate with a lab,
5 so that we grab a certain -- maybe it's the first samples
6 coming through every month or maybe it's we identify them
7 through Genetic Disease and pull, you know, some random
8 group of samples from a particular county, but that where
9 we can pull from will depend on the lab being amenable to
10 setting up, you know, this kind of different mechanism.

11 But the way our IRB protocol and our Biobank
12 protocols are written, we can use the samples for
13 environmental chemicals. It's not restricted to PFAS or a
14 particular analysis. And so as long as we're in adherence
15 with our protocols for, you know, management of these
16 samples, we can hold on to them and do additional work.

17 PANEL MEMBER SUÁREZ: Okay. Okay. Oh, fan -- I
18 mean -- and there are no restrictions, I guess, from say
19 GDSP actually for how those samples may be used?

20 DR. WU: No. No. Our protocol is fairly
21 flexible in terms of, you know, just looking for
22 environmental contaminants.

23 PANEL MEMBER SUÁREZ: Yeah. No. No. I meant
24 more from their side. So GDSP actually have restrictions
25 on how you could -- or how much of those unused samples

1 you may be able to actually store for the future.
2 Sometimes, they don't like that.

3 DR. WU: Yeah, but I don't think so, no.

4 PANEL MEMBER SUÁREZ: Okay. Fantastic. And then
5 maybe I might have missed it. So for the prospective
6 sampling now for the non-Biobank, what's the -- how are
7 you planning on -- so what's the protocol there? You're
8 contacting different labs that may be doing some of this,
9 is that what I'm understanding?

10 DR. WU: Yeah, the prenatal screening is run at
11 they're called NAPS labs, Newborn and Prenatal Screening
12 labs. There are three of them in the state. And so based
13 on what county the pregnancy is taking place in, they go
14 to one of these three labs and some of those labs have
15 a -- you know, already have a relationship with -- I mean,
16 they all have a relationship with GDSP. Some of them have
17 some experience in saving samples for researchers, for
18 example. In MAMAS, we've been able to do this with some
19 of the NAPS labs.

20 So in that case, we would -- as we've done
21 before, we might be able to say, well, we're focusing on
22 LA County. So the first, you know, 30 samples per month
23 that come through from LA County, we want to tag those to
24 be saved for us. We haven't figured out the details of
25 that -- that sampling protocol yet. We're really focused

1 on the retrospective right now, since it's coming up
2 sooner, but I think there's -- there are a variety of ways
3 in which we could choose to sample.

4 PANEL MEMBER SUÁREZ: And you do have in your IRB
5 and actually are you provided with identifiers of
6 participants?

7 DR. WU: So we have -- not their names. We do
8 have their addresses, and -- you know, but a selection of
9 information about the pregnancies, about the parent.

10 PANEL MEMBER SUÁREZ: But you have access to the
11 birth records eventually after one or two years, right?

12 DR. WU: Yes.

13 PANEL MEMBER SUÁREZ: And you would have
14 information of names and addresses and know that stuff
15 there eventually --

16 DR. WU: Yes.

17 PANEL MEMBER SUÁREZ: -- you would expect, right?

18 DR. WU: Yes.

19 PANEL MEMBER SUÁREZ: And you wrote your IRBs to
20 account for that, that you might be getting this
21 identifier information. Because I think -- I think it's
22 very valuable to have that information, if you want to do
23 follow-up on the same participants later on and go for
24 other research purposes.

25 DR. WU: Oh, I don't think we are allowed to do

1 follow-up with the participants. And maybe Dina is on and
2 could speak to this a little better. We don't have
3 anything -- and we -- the way prenatal screening
4 permissions work for saving other samples is people opt in
5 to the saving of their sample for research, but it's a
6 sample only. We don't -- the participants themselves are
7 not involved with our study and there's no contact between
8 us and those participants. So there's not an opportunity
9 for us to go back, for example, and ask questions of those
10 participants or to do follow-up sampling.

11 PANEL MEMBER SUÁREZ: But if you have the
12 infor -- if you have their contact information, I mean,
13 technically somebody else could potentially do a follow-up
14 on those participants or maybe as part of a different
15 project, if that's -- there would be a name of a new
16 project, right?

17 DR. WU: I don't think we have the permission to
18 contact them though. So I think that would -- yeah, I
19 mean I think in the way they are consented into the
20 research bank of Biobank or into actually even just doing
21 prenatal screening, I do not think would allow us to do a
22 recontact, even to recruit them into a subsequent study.

23 PANEL MEMBER SUÁREZ: Okay.

24 DR. WU: I see Dina has her hand up though. She
25 has more recently looked at this though.

1 Dina. Sorry, Meg. I'll let you call on her.

2 CHAIRPERSON SCHWARZMAN: No, please. Go ahead.

3 MS. DOBRACA: Hi. This is Dina Dobraca from
4 California Department of Public Health.

5 So in our IRB protocol, we have to justify every
6 variable that we receive from Biobank and explain how
7 we're going to use it. So we are not receiving names, but
8 we are receiving other identifiable information, such as
9 an individual's date of birth, an individual's pregnancy
10 information, an individual's address. And we have
11 explained that we will be using that information to
12 understand more about an individual's environmental
13 exposures or because it's an important confounder such as
14 age or parity to understanding this relationship.

15 We also have to put in our approvals if we would
16 ever do any linkages with this data in the future. And we
17 have to provide that justification to both the State and
18 to separately the Vital Statistics Advisory Committee to
19 all of our approval agencies, we have stated that we are
20 not linking any data for it to become identifiable to
21 those individuals. So that is the limitations on our
22 approvals.

23 PANEL MEMBER SUÁREZ: Okay. A just quick
24 thought. I know there's going to be maybe -- or should we
25 pause questions here. I don't know if you want to move

1 things forward with other stuff, but I have more questions
2 in that regard.

3 CHAIRPERSON SCHWARZMAN: José, I think you can go
4 ahead. Once we've finished these questions, we'll open it
5 up to public comment and then have additional discussion
6 time, but we're not tight for time.

7 PANEL MEMBER SUÁREZ: Okay. Okay. I mean, I
8 think -- I mean, I'm thinking of the other side of things,
9 right? I tend to do a lot of research on prospective
10 cohorts, and this seems like very low-hanging fruit where
11 even a birth cohort could be started at the snap of a
12 finger pretty much since you are already collecting this
13 information, which could open up the opportunity for a lot
14 of other investigators to start doing something like that,
15 which might be something interesting, and happy to have
16 more discussions about it.

17 But if there's a possibility at least of having
18 some sort of a way to then eventually link it back to the
19 information within the birth certificates, then that could
20 open up a lot of different collaborations and
21 opportunities, even though -- even though you may not --
22 you know, it's not an objective of yours to do the
23 follow-up of those participants, but it leaves an
24 opportunity for other investigators to maybe start going
25 in that direction or who knows maybe into the future it

1 may be of interest to the Program to do a follow-up of the
2 exposures of the same participants.

3 So if there is some way to start thinking about
4 maybe an amendment even to some sort of IRB protocol
5 that's of interest to you, I think it could be a way to
6 not go into this missed opportunity of collecting some of
7 this valuable information. Now, is there -- with the
8 information that you are getting from the birth records,
9 is there some sort of identifier? Even though you don't
10 have the identifier per se, but is there some sort of code
11 that you could into the future then link it to the full
12 contact information that is available in the birth
13 records?

14 DR. WU: So there are two kinds of things. I
15 guess these are not totally overlapping types of studies.
16 I think there are ways that we can use -- and we have been
17 clear in our IRB amendment that this would be a separate
18 study, that somebody could take this data and link it to
19 additional databases and do that kind of outcome work. So
20 that is already a possibility. I think again for the
21 contact -- the recontacting of participants, that's
22 something that I think really doesn't fall within our
23 purview, because the initial consent is happening at GDSP.
24 They're a different program. And I don't know how -- I
25 don't think we can really control that. I mean, it -- I

1 mean, it's certainly something we can discuss with them
2 and maybe there's some study within a study we could do,
3 but I think the way it's set up now, that that would be
4 harder to pursue.

5 But I do agree with you that there's a lot of
6 potential for this work to link with other administrative
7 databases and look at -- at various outcomes, and also use
8 that locational data to look at things like geographic
9 impacts. So it work -- that's our hope that this is
10 really going to be a foundation for many, many different
11 kinds of research that can come from the data that we
12 produce.

13 PANEL MEMBER SUÁREZ: Thank you.

14 CHAIRPERSON SCHWARZMAN: Let me check in about
15 public comment. Has anyone -- I don't see any hands
16 raised for comments or questions. Is there anything on
17 the website or email that we should know about?

18 DR. HOLZMEYER: No, nothing yet.

19 CHAIRPERSON SCHWARZMAN: Okay. In that case, we
20 have time to continue the Panel discussion and input. And
21 I wonder if Nerissa you would put back up -- yeah, the set
22 of questions that you have about the sampling plan input
23 that you wanted and see if Panel members have any
24 comments, or suggestions, or any input they want to
25 provide on this.

1 I mean, one thought that I had -- you've asked
2 for just opinions about geography of sampling, and
3 certainly knowing what we know about where NHANES tends to
4 draw from, and then the location of the Biobank samples, I
5 guess there's the tension that you mentioned between
6 sampling in the same places to see time trends versus
7 sampling in different places to get a better view of the
8 state -- more representative view of the state overall.

9 And I may have missed some of the details on
10 this - forgive me if I have - but my inclination is if we
11 can use -- if we can get time trends -- trends data already
12 from the Biobank samples, it would be great to use any
13 prospective sample collection as an opportunity to
14 increase our -- sort of the distribution -- geographic
15 distribution from around the state. I'd be curious to
16 hear how others feel about that.

17 Ulrike.

18 PANEL MEMBER LUDERER: Yeah. I'm sort of
19 following up on that. I was going to also say that, you
20 know, the geo -- you know, as we had -- as I meant -- you
21 know, obviously, there's a geographic kind of not ran --
22 non-randomness to the counties that are Biobanked. And,
23 you know, using the additional -- the prospective county
24 to kind of broaden that geographic distribution, I think
25 would obviously make sense, but then, you know, the

1 question that you raise then is with just -- if it's just
2 three counties, and I agree then that doesn't give you --
3 you know, that's not necessarily representative of three
4 counties of the State as whole. So I mean that's a
5 tension that there is.

6 I think though -- I think if it was going to be
7 three counties, I would favor the same three counties to
8 be able to get, you know, better time trend data for those
9 three counties, but I'm curious to hear what the other
10 Panel members think about that.

11 PANEL MEMBER SUÁREZ: I have a question.

12 CHAIRPERSON SCHWARZMAN: Jenny, go ahead.

13 Whoops. Sorry. I have Jenny and then José.

14 PANEL MEMBER QUINTANA: Hi. Thank you for that
15 question and your comments, Ulrike. I was thinking back
16 to, Nerissa, you said you're interested in Orange County
17 because of the water contamination. So if -- I seem to
18 remember that you guys presented a quite detailed map of
19 water supply for certain areas. Maybe I'm getting mixed
20 up with a different meeting, but where the water sources
21 were. And if water sources are of interest to
22 investigate, then I feel like they should oversample
23 people on different water sources, on private wells, on
24 small water community waterworks if -- rather than a bunch
25 of people all drinking LA water that's all from the same

1 source. You know what I mean? So I think I would
2 oversample people on wells and private water systems. And
3 I would also oversample for rural participants who are, as
4 you mentioned, really somewhat left out of --
5 underrepresented perhaps in NHANES. So I would think
6 about rural participants as well.

7 CHAIRPERSON SCHWARZMAN: I want to just insert
8 here one quick question that I had overlooked in the Q&A
9 on Zoom, which is just to make sure, are subjects getting
10 compensated for their time?

11 DR. WU: The partici -- we -- so the participants
12 are not participants of our studies. They're participants
13 of the Genetic Disease Screening Program. So they're
14 undergoing screening and they are consenting to have their
15 samples saved for research and that's the end of their
16 participation as they know. So there is no interaction
17 between us and the participants.

18 CHAIRPERSON SCHWARZMAN: Thank you for that.

19 José had a comment and then I have Laura.

20 PANEL MEMBER SUÁREZ: No, mine was very brief. I
21 was agreeing to Ulrike's suggestion of keeping the same
22 geographic units or same counties if you want to look at
23 trends that we know is all.

24 CHAIRPERSON SCHWARZMAN: Okay. Great. Thank
25 you.

1 Laura.

2 PANEL MEMBER CUSHING: I was just going -- I was
3 thinking about I presume you hypothesize drinking water is
4 the primary source of exposure for PFAS. I don't know if
5 that's true. But, you know, Kern County has a lot of oil
6 and gas drilling. I know they use PFAS in fracking, which
7 isn't super common in California, but I don't know if they
8 use PFAS for other activities, but that might be something
9 to look into in terms of trying to choose a county. And
10 there's also -- you might -- I agree with Jenny, you might
11 want to focus on places where people are drinking -- well,
12 I don't know.

13 If we know like whether groundwater or surface
14 water tends to have more PFAS contamination, that might be
15 another way to narrow in and, you know, the southern San
16 Joaquin Valley is -- like Tulare County is like 95 percent
17 of people drink groundwater. There's a high proportion
18 drinking untreated groundwater either in a private well
19 or, you know, a small system. And I have some data on
20 that, if that's of interest in terms of where people are
21 drinking from domestic wells. We've tried to estimate
22 that statewide. So maybe potential sources of PFAS and
23 then also sources of drinking water might be things to
24 consider in the retrospective sampling location choice.

25 DR. WU: We would love to talk to you more for

1 two of the points you've mentioned. One is that we have
2 been trying to learn more about oil and gas extraction and
3 how PFAS are used. And I believe there is now a reporting
4 requirement for oil and gas extraction sites, but I'm not
5 sure how -- I'm not sure what compliance is like and I'm
6 not sure if PFAS are one of the reportable constituents.
7 And so just learning about that whole reporting side is a
8 whole complicated question, but we would look --
9 certainly, Kern County with all of its sites is of
10 interest.

11 And then we would love to talk to you more about
12 water source. We're finding that the drinking water data
13 is very, very complicated. And certainly across the
14 State, where there is data on drinking water, there are
15 detects in many different places, but the MDLs are
16 different, the availability of data is really different.
17 And so it's been difficult to piece together what are the
18 most significant places to look, if we do think that
19 drinking water is the most significant contributor. And
20 whether it is or not really depends on what your drinking
21 water looks like too, right? So it is -- you know, it --
22 there are lots of -- there are lots of things we're trying
23 to consider in this selection. But that would be really
24 helpful to talk to you more -- a little bit more about the
25 water mapping that you've done.

1 CHAIRPERSON SCHWARZMAN: Great.

2 Gina Solomon.

3 DR. SOLOMON: Yeah. Yes. Thanks. I'm sorry to
4 jump in, but I did want to mention that we're just
5 completing a study called the Tap Water Analysis Project
6 funded by the California Breast Cancer Research Program
7 and we collected tap water samples from primarily small
8 water systems in different parts of the state. And we
9 actually -- it wasn't a ton of samples, a total of 60
10 different, you know, samples, different areas. And we
11 expected to find PFAS. The analysis -- the targeted
12 testing was done by USGS laboratory for 34 PFAS. And we
13 actually did not have hits in the Central Valley, but we
14 had a lot of hits in southeast LA.

15 And one of the interesting things about LA is
16 that there's, you know, LADWP that covers a large part of
17 the city, and then there is a lot of very small water
18 systems that mostly use groundwater in the industrial
19 areas in the southern part of LA. And so you can find
20 some -- we found a lot of different PFAS down there. And
21 we'd be happy to share the data if that would be helpful.

22 All the system boundaries have been mapped and so
23 it's possible with address information to figure out which
24 system people are in and that could be interesting if LA
25 County were selected.

1 DR. WU: Oh, that would be really interesting.
2 One of the challenges is that the data available, some of
3 it's from tap water, some of it's from wells, some of it's
4 from, you know, like pre-treatment or post-treatment. And
5 just sorting through all of that has been a real
6 challenge. So we would love to talk to you about your
7 data. And I think Kathleen is probably weighing in on
8 this as well.

9 CHAIRPERSON SCHWARZMAN: Kathleen, do you want to
10 offer something to that before Eunha?

11 DR. ATTFIELD: Oh, I was actually going to add a
12 slightly adjacent point that because we have information
13 on Los Angeles from the CARE-LA study in 2018, and then
14 eastern and southeastern counties in CARE-2, that we've
15 actually already started working with the Water Board to
16 match up the PFAS data that they have there again variety
17 that Nerissa cites of the types of information that are
18 available. And the conclusions one can take has been
19 complicated to work out, but we are already starting to
20 look at the correlations between our participant
21 information and the water data. Well, we're in the
22 beginning stages I should say, but it's a complementary
23 activity to what we are talking about right now.

24 CHAIRPERSON SCHWARZMAN: Thank you.
25 Eunha.

1 PANEL MEMBER HOH: I just have a couple of
2 comments just recently I learned -- one of the thing is
3 that it's -- when you select the sites, is it something
4 like -- I mean, in California that the wildfire and all
5 this fire and responses happens, those kind of reasons are
6 kind of could be considered for testing the groundwater or
7 surface water over there? It may be possible some source.
8 This is just my thoughts.

9 Another thing is that, you know, the -- Nerissa,
10 the PFAS -- you know, the kinds of the PFAS -- you know,
11 PFAS, there's so many. It's just incredible that, you
12 know, all the labs can measure, you know, the PFAS at the
13 very low levels. Are there -- are there -- the small
14 chain of PFAS are included in this analysis, because I
15 recently learned that those are really, really abundant in
16 water source too -- in air and water, yeah.

17 DR. WU: Yeah. I think -- are you talking about
18 Amina's work, because there was a recent presentation
19 about all the C2 and C3 --

20 PANEL MEMBER HOH: Um-hmm.

21 DR. WU: -- and the prevalence in the bloodstream
22 and trying to figure out what the source of that is. I
23 think I have a slide -- an extra slide here. These are
24 the analytes included in the new ECL method.

25 PANEL MEMBER HOH: Okay.

1 DR. WU: And I would refer -- hopefully, there's
2 somebody from ECL who can weigh in on this.

3 DR. ATTFIELD: So the four carbon chain is the
4 smallest that we're doing.

5 PANEL MEMBER HOH: Okay.

6 DR. WU: And sorry, to clarify your point about
7 wildfire response, was that in terms of suggesting that we
8 look in counties where there has been a wildfire response
9 and if AFFF or PFAS have been used in that wildfire
10 response that would make it a county worthy of looking at?

11 PANEL MEMBER HOH: Yes.

12 DR. WU: Yeah, that's all -- all good things to
13 consider. But, of course, like I guess water assessment
14 is really how we're getting at that, because that would be
15 really the primary exposure to the population.

16 PANEL MEMBER HOH: Um-hmm.

17 CHAIRPERSON SCHWARZMAN: Thanks.

18 Jenny.

19 PANEL MEMBER QUINTANA: Hi. We're talking about
20 water sources. But, of course, what people actually drink
21 is the most important thing. And this is not my area at
22 all, water, but I'm just kind of curious, do they have
23 good data on Californians' behavior around drinking tap
24 water? Just for a totally naive point of view, I would
25 assume that wealthier areas would be, you know, out there

1 with their little filtration units, or what have you, and
2 then the lower income areas might just drink tap water
3 more. But I'm just kind of curious, do they have a good
4 behavior data about water consumption, and especially how
5 it might differ between urban and rural areas? I don't
6 know at all. I'm just asking.

7 DR. WU: I think they do ask questions about
8 water source in things like BRFSS and the CHIS statewide
9 survey. So that would be more of a population-based
10 assessment. We do ask that question in our CARE study.
11 So we do have a sense of our own participants. And we did
12 hear from a lot of people in LA, but especially in Region
13 2, that a -- that there was a lot of bottled water
14 consumption. Actually -- and it wasn't like necessarily
15 correlated with, oh, I know there's something in my
16 drinking water, but there's more of a just a -- it's
17 almost cultural that like don't drink the regular water.
18 Go out and buy your water, even though it's quite
19 expensive. And so I think in CARE, we will be using that
20 as a way to look at how our participants' PFAS levels and
21 their drinking water matches up. We'll be taking that
22 into account.

23 PANEL MEMBER QUINTANA: Thank you.

24 DR. WU: Jenny, I did want to comment on your
25 comment on rural and I think that is something that we

1 don't often get to. It's very hard to recruit in rural
2 areas. And there's so many really important things, I
3 think, to learn about rural communities. It's
4 unfortunately not one of the data points we have in final
5 statistics or GDSP data to be able to select for that, but
6 I wonder if -- by focusing on Central Valley and if we can
7 get enough numbers, we might be able to then kind of sort
8 through our data retrospectively and figure out who is on
9 private wells. And I think that would be really important
10 to look at, especially in places like Tulare, where there
11 is, you know, fire training grounds and a lot of
12 industrial -- a lot of industrial sites.

13 PANEL MEMBER QUINTANA: Thank you.

14 CHAIRPERSON SCHWARZMAN: Any other comments,
15 questions, discussion points on this planned program or
16 anything else that Nerissa presented for that matter?

17 DR. WU: Well, thanks, everyone for the input. I
18 mean, we just got our IRB approval and our Biobank
19 approval, so we're really excited about this. And it's
20 just great to have so much input into how the data will be
21 used, but also just things we should be considering in the
22 sampling.

23 CHAIRPERSON SCHWARZMAN: Great. I think Jenny
24 had one more.

25 PANEL MEMBER QUINTANA: Sorry. I raised it right

1 before you made that wrapping up comment. I didn't mean
2 to derail you. I just was looking at that last question
3 about additional exclusion criteria and it made me think
4 about your sample. Do you have -- maybe you said this and
5 I'm so sorry if I missed it, but do you have any data on
6 the mom, like breast feeding data, or prior breast
7 feeding, or if their first child, first pregnancy, not the
8 first pregnancy, because that would affect some of
9 these --

10 DR. WU: For sure.

11 PANEL MEMBER QUINTANA: -- water fat-soluble
12 compounds. I'm just curious. And what exclusion criteria
13 do you currently have, if you wouldn't mind telling me
14 again, I'm sorry.

15 DR. WU: Yeah. Sure. So we do have for the
16 retrospective studies -- the retrospective sampling, we
17 will have parity. So we'll know how many -- how many
18 babies to term this person has had. We don't have breast
19 feeding information, so that's why we are excluding
20 multiparous individuals.

21 PANEL MEMBER QUINTANA: I see.

22 DR. WU: We're only sticking with nulliparous
23 pregnancies. For the prospective screen sampling though,
24 we don't have those birth records linked until one to two
25 years after the birth. So we're going to oversample.

1 Retrospectively then, we'll be able to link to the birth
2 record data. And we'll either -- I'm not clear how this
3 is going to work, but our plan is to either identify
4 multiparous samples and take those out of the queue, so we
5 won't analyze them, or it's possible, depending on where
6 we are with our analyses, that we'll go ahead and analyze
7 them, and then adjust or stratify for parity.

8 PANEL MEMBER QUINTANA: And those were your only
9 exclusion criteria. You didn't have others.

10 DR. WU: Just live singleton births, so any
11 multi- -- multiple births --

12 PANEL MEMBER QUINTANA: I see.

13 DR. WU: -- like twins or triplets, we won't be
14 including.

15 PANEL MEMBER QUINTANA: I see.

16 PANEL MEMBER SUÁREZ: Well, I guess I had a
17 question related to that as well. What kind of
18 information do you have -- additional information would
19 you have?

20 DR. WU: Oh, I'm going to call in Dina, because
21 she can rattle this off.

22 MS. DOBRACA: So once the linkage between the
23 Prenatal Screening Program and the birth record occurs at
24 GDSP, and once the data is linked, we've received approval
25 for most of the variables on the birth certificate.

1 PANEL MEMBER SUÁREZ: Okay. So then I guess for
2 the prospective, you wouldn't be -- so this is like part
3 of exclusion criteria, who you're going to include or not,
4 but you won't have those data out for another two years
5 after the samples are collected.

6 DR. WU: Right.

7 PANEL MEMBER SUÁREZ: So then you wouldn't know
8 who you -- who you would actually include into the study
9 for another two years, right? So I'm just trying to
10 understand the timeline here for it.

11 MS. DOBRACA: Correct. So because the NAPS labs
12 only retain the samples for a month, we have to take the
13 samples as they come. And some of those samples will not
14 go to term and therefore will not be part of the final
15 California birth file for the year. Some of those
16 individuals will move during their pregnancy and therefore
17 move out of the county of residence between their Prenatal
18 Screening Program and when they -- their address that
19 shows up on their birth certificate and therefore would be
20 excluded retrospectively. And so, yeah, there is --
21 because of the way that the sample collection works, we
22 can't exclude until the data is linked after the fact.

23 PANEL MEMBER SUÁREZ: Right. So then to reach
24 your targets there on that slide that we have the number
25 of samples per year, I guess that's for the retrospective

1 and then the prospective. I'm just looking at the -- that
2 there. So it looks like for the prospective you're
3 starting with 500 -- a target of 500 in 2024. To reach
4 that target, I'm guessing that you're going to have to
5 collect a lot more samples and then later on you're going
6 to be doing the exclusion, right?

7 Is there a certain number of samples that you're
8 targeting or that you can actually store. I guess 500 is
9 not that much, so maybe, yeah, what are you thinking in
10 that regard?

11 DR. WU: I think we'll have to calculate that
12 based on our exclusion criteria. We can look at the
13 county and we'll have pretty good data on the percentage
14 that are multiparous versus nulliparous. So we'll do that
15 calculation when we get to that point. The storage of the
16 samples isn't the issue. I mean we do have to purchase
17 some, so there is some limit on how many samples we can
18 get, but we will -- we do plan to oversample, so that
19 we'll still end up with enough samples for our analyses.

20 PANEL MEMBER SUÁREZ: Is there a parental
21 occupation in the birth certificate?

22 MS. DOBRACA: There is -- there is maternal and
23 paternal occupation and industry that is available as a
24 request from the birth files.

25 PANEL MEMBER SUÁREZ: Okay. And this kind of

1 opens up the other thing that I was thinking is
2 depending -- so something to give some thought to is there
3 are certain groups like firefighters, of course, that have
4 a substantially higher risk of exposure to PFAS. And the
5 more of those you have in a sample of 500, the more that
6 could sway things, right, and especially -- so it's
7 something to think about whether you want to include
8 high-risk groups within the sample. I guess you're more
9 interested in looking at the population trend. And, of
10 course, populations have mixes of different people, some
11 with very high exposure and some with low. But you do
12 have other studies specifically of firefighters if,
13 right -- and so it's something to maybe give a little
14 thought of is to what point you want to potentially
15 exclude those groups that have very high exposures just to
16 try to get a better sense of what the background exposures
17 might be.

18 DR. WU: Yeah, I think it depends on what your
19 primary study questions are and for surveillance, you
20 know, we want -- we do want to get a population sample.
21 But if there's enough data, at some point, sure, we can
22 ask other questions, given all the -- all the different
23 demographics or occupational information that we have, but
24 -- but we're trying to stay population-based for this
25 sampling.

1 CHAIRPERSON SCHWARZMAN: We have just a couple
2 minutes here before a quick break at 2:15 and it's just a
3 five minute break, so I want to make sure we get to
4 Ulrike's question or comment.

5 Oh, you're muted.

6 PANEL MEMBER LUDERER: Sorry about that. I think
7 you said that for the biobanking, only the second
8 trimester samples are saved, is that right? So then are
9 you planning then for the prospective study to also choose
10 second trimester samples or, you know, is there maybe any
11 utility? I mean, most of -- a lot of these -- certainly
12 the more legacy PFAS, they're very, very long lived, have
13 long half-lives, so you wouldn't expect a difference, you
14 know, between a first and second trimester sample
15 necessarily maybe but certainly some of the newer ones
16 have shorter half-lives. So, you know, maybe there's some
17 utility to looking at, you know, first and second
18 trimester within, you know, maybe a subgroup. It's just,
19 you know, something to think about.

20 DR. WU: Yeah, we would love to get first
21 trimester samples.

22 (Laughter).

23 DR. WU: The State has just brought on a new
24 screening program by which the first trimester samples are
25 actually going outside of state to a different lab for

1 analyses. And I don't think they will be accessible to
2 us, but it's certainly something we have asked about and
3 have kind of on our wish list, because that -- that would
4 be -- that would be great information to be able to get.

5 PANEL MEMBER LUDERER: Yeah, too bad.

6 DR. WU: They didn't design their program around
7 us unfortunately.

8 (Laughter).

9 CHAIRPERSON SCHWARZMAN: José, I'm sorry. I
10 didn't realize you were about to say one more thing there.
11 Was there anything else? We have two minutes before we
12 have to break. Was there anything else you wanted to add?

13 PANEL MEMBER SUÁREZ: Yeah. No, I guess -- I
14 guess my question was mainly -- since the question was
15 about what additional exclusion criteria there may be,
16 that's what I was bringing. Would it be advisable? And
17 I'm trying to still come up with a decision on that,
18 whether to exclude those high-risk groups, since you do
19 have information about parental work.

20 DR. WU: The high-exposure groups.

21 PANEL MEMBER SUÁREZ: Yes, high-exposure groups.

22 DR. WU: Yeah, I mean, I guess it would -- I
23 mean, what would that tell you then? I mean, how would
24 you compare that to other surveillance numbers, if other
25 surveillance numbers were population-based? I think that

1 would be -- and where would the cutoff be? What would you
2 consider a high risk for exposure group? So I think it's
3 tricky and sort of a difficult thing to then figure out
4 how to use that data once you start picking and choosing
5 on demographics. Although, I mean, I think it's an
6 interesting question about how those groups would compare,
7 and certainly stratifying and looking at all your
8 firefighters and -- you know, in comparison to everyone
9 else would be interesting.

10 PANEL MEMBER SUÁREZ: I mean, it still is
11 population-based. It's just excluding maybe very high
12 risk groups that could potentially sway the
13 population-level curves, if you have enough of them,
14 right?

15 DR. WU: Right. And consider --

16 CHAIRPERSON SCHWARZMAN: I appreciate Nerissa's
17 point -- oh, sorry. I was just going to say I appreciate
18 the point Nerissa that we don't know what all the
19 high-risk exposure groups are. And so that would be just
20 sort of selecting the couple that we know, rather than,
21 you know, maybe there's some very extreme exposures among
22 drinkers of well water or --

23 DR. WU: Right.

24 CHAIRPERSON SCHWARZMAN: -- whatever. And we
25 haven't -- it's not like we've categorized all of the

1 high-exposure groups. So it's maybe being a little bit --
2 it's selecting, but with our realistic blinders on that
3 are just a function of what we know now.

4 DR. WU: I think it introduces a difficulty also.
5 Let's say California numbers are lower than everyone
6 else's. Is it because our numbers are lower or because we
7 excluded all the high-exposure people? So I think it's --
8 it's difficult to interpret once you go down that route.

9 I do want to just highlight that there is one
10 other exclusion criteria which is that samples that are
11 associated with pregnancies with an identified genetic
12 defect, those are not included in Biobank. So those are
13 also not -- I mean, they're excluded just because of how
14 Biobank works.

15 CHAIRPERSON SCHWARZMAN: We need to break now.
16 It's just a very quick five-minute break and we're going
17 to start right back up at 2:20. Thank you, all.

18 DR. WU. Thanks, everyone. That was really
19 informative.

20 (Off record: 2:16 p.m.)

21 (Thereupon a recess was taken.)

22 (On record: 2:21 p.m.)

23 CHAIRPERSON SCHWARZMAN: I have that it's 2:20,
24 so if we have everybody back. I will introduce our next
25 speaker. We have a presentation now by two speakers.

1 Nayamin Martinez and Gina Solomon. So I want to introduce
2 each and then we will get to hear from them.

3 Nayamin Martinez is the Director of the Central
4 California Environmental Justice Network, or CCEJN. Prior
5 to joining CCEJN, Ms. Martinez worked for the Madera
6 County Public Health Department as a Health Education
7 Coordinator and for 10 years was the Health Projects
8 Coordinator for the Binational Center for the Development
9 of Oaxacan Indig -- Indigenous Communities. Ms. Martinez
10 has vast experience working with immigrants and residents
11 of disadvantaged communities across the San Joaquin
12 Valley, managing public health programs, conducting
13 participatory research, and launching leadership and civic
14 engagement programs. She holds Master's Degrees in both
15 Public Health and Sociology.

16 Our second speaker is Gina Solomon, who's a
17 Principal Investigator at the Public Health Institute,
18 where she directs the Science for Toxics Exposure
19 Prevention, STEP, Program, and the Achieving Resilient
20 Communities, ARC, project. Her work is -- work focuses on
21 anticipating, preventing, and responding to climate change
22 impacts, in the most impacted communities in California.
23 She's also a Clinical Professor of Medicine at the
24 University of California, San Francisco.

25 So Nayamin and Gina will be presenting on their

1 plans for the FRESSCA-Mujeres project, which will include
2 an intervention component to protect farm workers in the
3 Central Valley from wildfire smoke.

4 (Thereupon a slide presentation).

5 MS. MARTINEZ: Thank you for the invitation to
6 present. It's a pleasure to be here with you. Gina and I
7 will be sharing roles here presenting. And I'll start
8 with a first set of slides.

9 So next slide, please --

10 --o0o--

11 MS. MARTINEZ: -- which is going to say that the
12 PowerPoint that we have developed together reflects --
13 it's through a grant that we received from U.S. EPA, but
14 it has not been reviewed by EPA. The views expressed in
15 this document only are from Gina Solomon and myself and do
16 not reflect necessarily those of the agencies. EPA does
17 not endorse any products or commercial services. So thank
18 you, Gina.

19 Next one.

20 --o0o--

21 MS. MARTINEZ: I'll skip this slide, because you
22 already have a very thorough explanation of myself and my
23 background.

24 --o0o--

25 MS. MARTINEZ: And I'll go and just jump ahead

1 and describe why the Central Valley? Many of you have
2 been probably very familiar with the Valley, but I want to
3 point out some of the major sources of pollution,
4 especially air pollution, that are of concern to us in
5 this study, but to the Central Valley residents in
6 general.

7 The organization that I have the privilege of
8 representing has worked for 22 years advancing health
9 equity and environmental justice. And the reason why is
10 because of why -- all the problems that we have in the
11 Central Valley. Most of the pro -- environmental problems
12 that our communities face are byproducts of the main
13 economic industries that we have, starting from the left
14 to the right. On the left you have agriculture.
15 Agriculture is perhaps the main economic engine across the
16 eight counties, but along with that comes all the
17 byproducts of the uses of fertilizers, pesticides that are
18 not only polluting the air, but also the water.
19 Pesticides continue to be a very significant concern for
20 community members, not only those who work in the field,
21 but also those who live close to the fields, especially
22 those that have not adequate weatherization and filtration
23 in their homes, and that's something that part of our
24 project would be addressing.

25 The second major, you know, concern that we have

1 only focused on organized team conferences where activists
2 and people concerned with environmental injustices came
3 together. But over the years in 2013, the organization
4 finally transitioned from being a volunteer-run
5 organization to becoming an organization with paid staff.
6 We have offices in Bakersfield and Fresno, but we operate
7 programs in Madera, Fresno, Kings, Tulare, and Kern
8 counties.

9 As of now, one of other major milestone that our
10 organization was able to achieve just this year was
11 becoming an independent nonprofit. But as I was saying
12 since 2013, we were able to have paid staff implementing
13 projects, addressing the major environmental concerns of
14 our region, including air pollution, pesticide exposure,
15 water scarcity and water contamination. And, of course,
16 oil and gas as well, especially our work in Kern County is
17 heavily focused on this issue.

18 Next.

19 --o0o--

20 MS. MARTINEZ: One of the programs that we most
21 recently launched -- and I would have to say that this is
22 really -- this was really a result of something that we
23 did during the pandemic. In the middle of, you know, when
24 everybody was sheltering in home, we were forced, in a
25 way -- or not forced, but motivated to help farmworkers,

1 because they were considered essential workers. Yet, they
2 were working in unsafe conditions, and oftentimes we're
3 not -- we realized that they were not aware about their --
4 how all the multiple exposures that they were affecting
5 their health that go beyond pesticides. A lot of unsafe
6 conditions in the workplace. The wildfire smoke
7 definitely had been affecting them. In 2020, when we were
8 distributing masks for the pandemic, that was not the only
9 reason. It was also that N95 masks that were needed to
10 shelter them from the smoke and wildfires that affected
11 our region.

12 So our -- one of the goals of this project is
13 really to improve the ability of farm workers, but also
14 residents of rural communities to understand and to
15 identify -- be able to identify and monitor pesticide
16 exposure, but also other forms of exposure that affects
17 them. And based on the data that they're collecting, they
18 transform that data into advocacy campaigns targeting the
19 agencies or the decision-makers that are able to impact
20 and change these conditions.

21 Next.

22 --o0o--

23 MS. MARTINEZ: So one of the things that we have
24 been doing since 2014 is community air monitoring network
25 that we have been developing. Why? Because we realized

1 that there were only over 30 regulatory monitors across
2 the eight counties. That did not give us real data of
3 what was the local air quality in our communities,
4 therefore we did not know what our communities were
5 breathing, what were affecting their health. So through a
6 variety of methodologies that included stationary
7 monitors, low-cost sensors such as PurpleAir, the Dylos
8 that measure PM2.5.

9 But we also are happy and able to engage
10 residents, training them on how to collect grab samples to
11 measure VOCs. In 2019 and 2012, we -- while doing these
12 efforts of educating residents about air pollution,
13 showing them how to access data from these local sensors,
14 we hear loud and clear a concern that community members
15 have about their exposure to air pollution inside their
16 homes, because they live in homes with evaporative coolers
17 or swamp coolers.

18 We turn around, as we always do, and transform
19 those concerns into opportunities for changes and
20 improvements. In this case, we approach the Public Health
21 Institute and in partnership with Dr. Solomon and others
22 in the Institute, that's how the project FRESSCA was
23 created. And then a spin of that is the FRESSCA-Mujeres
24 project that we'll be describing -- Gina will be
25 describing in a minute.

1 --o0o--

2 MS. MARTINEZ: So basically the goal of our
3 project is to reduce wildfire smoke exposures by
4 designing, testing, and deploying an affordable and
5 effective filtration system for homes that have swamp
6 coolers. And this is a picture of how a swamp cooler
7 looks like.

8 Next.

9 --o0o--

10 MS. MARTINEZ: We have two study locations. In
11 Fresno County, in the -- in this particular county, we
12 have three communities. Right now, we have been already
13 deploying in this first year the pilot of the -- well, we
14 deployed monitors in Coalinga. And in the future, in the
15 subsequent years, we're also going to add the communities
16 of Huron and Avenal. In Kern County, we have already
17 incorporated or engaged and recruited residents in Arvin
18 and Lamont. Arvin is a small city in the southern part of
19 the county. And Lamont is an unincorporated community.

20 So the common denominator among these five is
21 that they are mostly farmworking communities. Communities
22 with a majority of the population being Latinos,
23 immigrants, farmworkers.

24 Next.

25 --o0o--

1 MS. MARTINEZ: And this is where I'll turn it
2 over to Gina.

3 DR. SOLOMON: Great. Thanks, Nayamin.

4 So the -- the FRESSCA study, we realized that if
5 we were going to tackle and try to reduce exposure to
6 smoke inside people's homes that was getting pulled in by
7 their swamp coolers, we needed some engineers. So we
8 reached out to some folks and partnered with engineers at
9 Illinois Tech. It seems like maybe an odd group to
10 partner with, but they are actually fantastic and have a
11 lot of relevant expertise and experience. And they
12 actually purchased several swamp coolers and have been
13 outfitting them in their laboratory. And as you can see
14 here, there's a -- on the right an actual photo of a swamp
15 cooler with the sides taken off, so it looks kind of like
16 the one that Nayamin already showed, but the exterior
17 slide -- sides are removed.

18 And you can see it's just a very simple machine
19 that's just basically a fan and a blower, driven by a
20 small motor. And then there's water in the bottom of it
21 that gets pulled up, wicked up into pads. And then when
22 air from outside is pulled through those pads, it cools it
23 and humidifies it a little bit.

24 They're very energy efficient and very
25 affordable, which is why they're common. They are

1 unfortunately a bit water wasting, which is a drawback.
2 And the other drawback is that it turns out that those
3 pads -- the wet pads actually don't really reduce
4 particulate matter. So most of the PM in the outdoor air,
5 as well as many other contaminants, get pulled in. And
6 since the fan and the blower are quite strong, it really
7 pushes contaminants right into the home. It's a concern
8 that we're -- that's the concern we're trying to address.

9 Let's see if I can advance this.

10 --o0o--

11 DR. SOLOMON: There. Okay.

12 So the team was actually inspired by the
13 Corsi-Rosenthal box, which is -- some of you may be
14 familiar with. But it's a very low cost, do-it-yourself
15 solution to air quality. It turns out that these are just
16 about as effective or even more effective than expensive
17 air purifiers. They're not quite as pretty but they work
18 well. And it's a, you know, box fan -- standard box fan
19 and then five air filters basically, you know, sort of
20 like furnace filters duct-taped together to make a box.

21 The downside, and you can see this on the lower
22 right, is that they're -- they bring in a lot of clean --
23 they bring in a lot of clean air. Their clean air
24 delivery rate beats most air cleaners, but they're quite
25 noisy. So sometimes people don't like to use them, but we

1 were sort of testing against these.

2 --o0o--

3 DR. SOLOMON: And so the proposed solution for
4 the swamp coolers is actually just to basically bungee
5 cord swamp -- filters -- MERV 13 filters to the exterior
6 and on each side of the swamp cooler. And those will
7 filter the incoming air and tested it out extremely well
8 in the laboratory.

9 --o0o--

10 DR. SOLOMON: And then we tested out -- this
11 shows what they did in the laboratory in terms of particle
12 removal efficiency, which is quite good.

13 --o0o--

14 DR. SOLOMON: And then we went to the two areas
15 that Nayamin pointed out in Fresno County and Kern County
16 and worked with CCEJN, recruited 30 homes this past summer
17 and did pilot testing in those homes to show -- to
18 demonstrate the potential for the project to work. So we
19 kicked off with community meetings in each town in April
20 and then again went back for community meetings in
21 October.

22 --o0o--

23 DR. SOLOMON: We divided up the homes. We
24 actually intended to randomize, but it turned out that
25 there were some homes that we couldn't randomize, because

1 the design was such that we couldn't outfit with the swamp
2 cooler filters. So we ended up then randomizing those to
3 either a commercial air purifier or a box fan filter. And
4 we installed -- you can see here Ruben from CCEJN on the
5 upper left installing a PurpleAir monitor outside a home.
6 We also installed them inside every home.

7 And Gustavo and Gabby from CCEJN in Kern County
8 on the right at a home where they're looking at the swamp
9 cooler filters that had just been installed and some
10 community -- one of the community meetings we had in
11 Coalinga, we pilot tested our questionnaires and we also
12 used different types of -- tested out different kinds of
13 data loggers, so that we would know when people were
14 running their swamp coolers and the other equipment versus
15 not running them.

16 --o0o--

17 DR. SOLOMON: And then this shows the solutions
18 that we tested out, the swamp cooler filter, Levoit 300
19 Air Cleaner, and then a box fan filter. We tested out
20 actually a couple things. We tried the big
21 Corsi-Rosenthal boxes, but many of the homes in our study
22 were very small, many were about 900 square feet, many
23 were manufactured or mobile homes. And so those big
24 Corsi-Rosenthal boxes were too big to accommodate inside
25 the home, so we were using a different solution that was

1 selected -- suggested by some of our colleagues at U.S.
2 EPA. That gives you a sense of the numbers in each
3 category for this past summer.

4 --o0o--

5 DR. SOLOMON: And just to give you a little bit
6 of a sense of the participants, if -- really everybody
7 completed their consents and their questionnaires in
8 Spanish. Most of them felt most comfortable doing it
9 verbally in a face-to-face interview. Almost 80 percent
10 worked in agriculture, either in -- as farmworkers
11 directly, or in food processing, or some aspect of
12 agriculture. The rest in construction, some other things,
13 home health, were a few folks.

14 And then people obviously did not have HVAC
15 systems. They -- some of them had both swamp cooler and a
16 window air conditioner in a bedroom. But the cooling was
17 really by swamp coolers. And then you can see here more
18 than half were either a mobile home or a prefab home. And
19 a minority were -- lived in constructed homes.

20 --o0o--

21 DR. SOLOMON: And so we're still analyzing all
22 the -- we have huge amounts of data from this past summer.
23 We're in the thick right now of analyzing everything we've
24 got and redesigning, tweaking, reevaluating the
25 questionnaires and so forth. We're going to be refining

1 the protocols and then launching, again in the spring, to
2 do more homes next summer.

3 We did get an additional grant. You can see here
4 from the bottom from the California Breast Cancer Research
5 Program to add an element to this study. So instead of
6 just indoor and outdoor air monitoring, we will now, in
7 the FRESSCA-Mujeres study be looking at some indicators
8 that are related to health. So we're going to be focusing
9 on farmworker women in these -- the homes. We'll be
10 looking at biomarkers in urine of oxidative stress and
11 inflammation done through a lab at NYU in New York. We'll
12 be looking at those at two time points, one is in the sort
13 of late spring, early summer before the wildfire season.
14 And then again in the late summer or fall time period. As
15 the -- you know, during the wildfire season we'll see. I
16 mean, we don't know if there will be a wildfire, so that's
17 always a question mark.

18 We'll also be collecting saliva samples for
19 analysis at the Blackburn Lab at UCSF. For a measure we
20 were sort of interested in this issue of cumulative
21 impacts, biological stressors from both environmental and
22 social stressors. And so we're looking at telomere length
23 in this population, because that has not been collected.
24 And that's basically -- as you may know that telomeres are
25 basically the caps at the end of people's chromosomes.

1 Those shorten with age and shorten at a faster rate in
2 some people than others, which has partially to do with
3 genetics, but a lot to do with the environment and the
4 stressors in people's lives.

5 And the shortening of telomeres, you know, once
6 they get too short, the cell can no longer divide. So
7 there are associations with multiple different health
8 endpoints. And so we also were -- have some elements
9 really social elements to this study. We're working with
10 an entity called StoryCenter in Berkeley. They do
11 storytelling workshops in communities and we'll be doing
12 these in both communities to do digital stories of
13 farmworker women to talk about smoke exposure, breast
14 cancer concerns, and general health concerns in their
15 communities. And so we're looking forward to collecting
16 both quantitative information and also qualitative
17 information, as part of this FRESSCA-Mujeres study.

18 --o0o--

19 DR. SOLOMON: And so we will be overrecruiting a
20 little bit. We -- as you may have noticed on a previous
21 slide, we did lose some homes in our pilot study, so that
22 gave us a sense of the attrition rate. The reason we had
23 some attrition this past summer, one participant moved and
24 then three participants had unfortunately had their swamp
25 coolers break. These machines are not super reliable.

1 They do break down sometime. And in some cases, they just
2 decided to manage with window air conditioners instead.
3 So we lost some homes. So we'll be recruiting 58
4 participant homes this summer approximately, in the hopes
5 of ending up with at least 50.

6 We'll be focusing on homes of non -- you know,
7 where nobody smokes in the home. Everybody has an
8 evaporative cooler, where there are women agricultural
9 workers in the homes. We'll be testing the filter on the
10 swamp cooler, the evaporative cooler, versus another
11 intervention. And we're actually trying right now to --
12 which of the two, the box fan or the commercial air
13 cleaner is the best to use next summer. We're not going
14 to be testing both as will our power calculations indicate
15 that we won't really be able to have a three-arm study.

16 We'll be asking a lot of questions about
17 household and occupation, respiratory symptoms, breast
18 cancer risk, and information about what people know about
19 wildfire smoke hazards.

20 We'll be doing PurpleAir monitoring and then very
21 extensive indoor and outdoor testing, if there's a smoke
22 event, including for volatile organic compounds, PAHs,
23 metals, deposition, testing for particulate matter in
24 addition to the -- you know, the testing that we're doing
25 with the PurpleAirs. And then I think I saw Jeff Wagner

1 is on this call, he's going to be doing some detailed
2 characterization of the particulate matter and the PAH
3 testing as part of this study. He's part of the -- both
4 the current FRESSCA and the FRESSCA-Mujeres study.

5 --o0o--

6 DR. SOLOMON: So there's -- and I know he's also
7 very involved with Biomonitoring California as a good
8 bridge.

9 So this gives you a sense of -- here of a
10 potential biomonitoring component. So we've been working
11 with OEHHA to think about -- since we're already going to
12 be in the field, we're already going to be doing urine
13 sampling in the spring and in the late summer or fall.
14 And we were already planning to do one sample at each time
15 point, but we could -- you know, it's not that hard to do
16 additional urine samples. So we were looking at adding
17 some additional urine samples for biomonitoring.

18 In particular, there are different ways we could
19 do this, but we're thinking about doing a morning and
20 evening sample to capture, since these are farmworkers,
21 they will have outdoor exposures in the fields at work
22 during the day, and then we hope there might be some
23 recovery time at night with the benefit of the indoor air
24 quality filtration.

25 So if the filtration works, it will basically be

1 reducing people's exposure from a 24-hour -- 24/7 kind of
2 situation to significantly less than that. And we may be
3 able to back that up with biomonitoring.

4 We're looking at, or talking about, potentially
5 including PAHs, VOCs, and some metals that are associated
6 with wildfire smoke, but we're interested in input on
7 that. The PAHs, I think, are the most definitive as --
8 and clearly linked to wildfire smoke exposures.

9 --o0o--

10 DR. SOLOMON: So some of the questions that we
11 have for the SGP, we'd love to put on since we're right
12 now in the process of putting together the protocols for
13 next summer. We are -- you know, we're a little --
14 recruitment could be a challenge. We're looking for
15 certain types of swamp coolers that we know that can fit
16 with filters. We're looking at people who work as
17 farmworkers or maybe just outdoor workers, in some cases.
18 Would that be, you know, a feasible option to broaden
19 recruitment?

20 And then should we be looking at doing sort of
21 spring and fall sample collection or another alternative
22 would be sampling just before we install the filters and
23 then, you know, shortly after the -- the filters are
24 installed in people's homes.

25 And then we're also struggling right now to

1 develop all the questionnaires. Lots of things that might
2 be relevant to ask, but we're always interested in input
3 on specific questions that might be helpful to ask in this
4 population.

5 So I think that's the --

6 --o0o--

7 DR. SOLOMON: -- that's the presentation. I did
8 want to thank our project team. So I've mentioned -- you
9 know I'm with the Public Health Institute. We also have
10 folks from Tracking California, Paul English and his team.
11 We're also with the Public Health Institute. A large team
12 from CCEJN. A great group from Illinois Institute of
13 Technology. Jeff Wagner as well from CDPH. Kazu Kumagai
14 has also been a -- an advisor to the project. And then a
15 number of other technical advisors, John Balmes, Shelley
16 Miller, Brett Singer advising on different aspects of the
17 project, and now Biomonitoring California, and UCSF some
18 additional UCSF folks, Peggy Reynolds and her team on the
19 biomonitoring piece. So it's a great group and it just
20 seems to keep growing.

21 --o0o--

22 DR. SOLOMON: I just want to make a plug for Kern
23 County. They're is a truck parked in Lamont that has the
24 best raspados that I have ever tasted in my life. So if
25 you're ever down in Lamont and want to enjoy the most

1 wonderful fruit, tamarind, and chili drink you've ever
2 tasted -- fruit, mango, chili, tamarind drink you've ever
3 tasted, it's worth the journey.

4 So that's all and I will stop sharing and be
5 happy to take questions.

6 CHAIRPERSON SCHWARZMAN: Great. Thank you both,
7 Gina and Nayamin for that presentation. It's a super
8 exciting project.

9 We have 10 minutes now for clarifying questions
10 from both the Panel and the audience. And then we'll have
11 a half hour discussion -- open discussion.

12 So, Tom.

13 You're muted, Tom.

14 PANEL MEMBER MCKONE: Yeah. Sorry. Now, I'm off
15 mute, right?

16 CHAIRPERSON SCHWARZMAN: Yes.

17 PANEL MEMBER MCKONE: Okay. Fascinating project.
18 I just wanted to congratulate all of you on -- it's just a
19 great team. You know, your partners on the air filters
20 are great. You know, getting advice from someone like
21 Brett Singer who I've worked with for years. He really
22 knows what he's doing on filtering.

23 I guess there are -- there are some technical
24 questions and I have some thoughts about your
25 questionnaires, but I think I'll hold that off maybe to --

1 we're going to have a deeper discussion later on. This is
2 more clarifying, right.

3 CHAIRPERSON SCHWARZMAN: Yes, that's right.
4 Clarifying questions now.

5 PANEL MEMBER MCKONE: So I'm not going to offer
6 my comments yet about what might be in a questionnaire, or
7 could.

8 But I guess what I was curious about first in
9 developing the filter system for the swamp coolers. I
10 mean, you settled on a -- on a MERV 13 and there's
11 definitely an advantage of 13 over 11. And we saw that in
12 the figure -- I don't know if you want to bring that back
13 up.

14 But then there's also like MERV now 14, there's
15 MERV 16s. And I know -- I mean, I did something similar
16 in my own house with a whole house. We have -- we have a
17 furnace with a filter slot. But, you know, was there a
18 question about which -- how to optimize the filters to not
19 like put too much stress, you know, on the swamp cooler,
20 but also get effective cleaning, or was it just that you
21 pretty much thought MERV 13 was probably the way to go.

22 DR. SOLOMON: No, that's a great question and I
23 didn't want to get detailed with the filters, but it
24 totally makes sense. And by the way, Brett has been
25 amazing and he was the one who introduced us to the IIT

1 team in Illinois. And the team tested out a lot of
2 different filters on these swamp coolers. They purchased
3 two models for work in the lab that represented a bit over
4 5-0 percent of what we found out there in the communities
5 on a survey.

6 And they tested out filters that would have
7 been -- I can't remember whether -- I think they did go up
8 to MERV 16. And unfortunately the motors on these swamp
9 coolers and the fans are -- the motors are not that
10 powerful. And so what was happening was it was really
11 choking off the swamp coolers and the flow just tanked.
12 And so they had to balance it.

13 And the problem with the MERV 13 that we're
14 struggling with right now is that there is -- at the -- in
15 the smallest particle sizes, which is what you expect --
16 there is actually a fair amount of particulate matter that
17 gets through. So they're not perfect. We're actually in
18 a conversation right now on the team about whether we want
19 to stack interventions, you know, basically is have the
20 filters on the swamp coolers and also have an air cleaner
21 inside the home to basic -- and this is --

22 PANEL MEMBER MCKONE: Okay.

23 DR. SOLOMON: -- Brett Singer's suggestion. And
24 we're checking out our end to see if we could make that
25 work. I think it might be optimal.

1 We also were trying to think about affordability.
2 We did -- we ended up using Rensa 4-inch thick filters
3 with carbon, so that -- you know, to attempt to capture
4 VOCs in addition to trying to capture particulate matter.

5 We heard from Nayamin and the other CCEJN team,
6 and you heard this too, concerns about pesticides. All
7 the photos Nayamin showed of the -- of those -- the other
8 pollution sources were taken from the backyards of
9 people's homes in -- who are enrolled in this study. So
10 they're -- you know, these are very real other exposures.
11 And so we're trying to see if we could reduce VOCs and
12 PM -- but, yeah, it's a -- it's a challenge.

13 PANEL MEMBER MCKONE: Just a response. It's a
14 data point of one. But I have a PurpleAir indoors and
15 outdoors. And I have a whole house 4-inch MERV 13 in our
16 furnace, so we can run it in fan mode. During the worst
17 fires, we saw an enormous reduction. We were getting
18 60 -- the air quality index would be 120 outside here -- I
19 mean, this is in Albany Berkeley area, and indoors we were
20 down in the 70s. I mean we were getting phenomenal
21 reductions with just one whole house MERV 13 -- I mean a
22 4-inch MERV 13 running on a whole house fan.

23 So, I mean -- you know, I mean, that again that's
24 a data point of one, but it -- they're pretty effective.
25 And we have the same problem. I mean, we couldn't go to a

1 16 for our house, because it would be too much stress on
2 the fan motor for the furnace.

3 DR. SOLOMON: I think one other positive thing
4 just to toss in, is that in -- when you run a furnace
5 filter, there's always the concern about intrusion through
6 cracks, because most houses are negatively pressurized and
7 so outdoor air just sort of leaks in. The nice thing
8 about a swamp cooler is since it pushes so much air in
9 through the sample cooler, the houses are positively
10 pressurized and we tested that. And really it was true in
11 all homes, so in other words, air is going out through any
12 cracks. And what that means is if you can filter the air
13 coming in through the swamp cooler, it's not going to --
14 smoke is not going to get in through other cracks and
15 crevices.

16 PANEL MEMBER MCKONE: All right. Well, thank you
17 very much. You addressed my -- but I have more issues
18 we'll bring up later when we have more time for a
19 discussion, particularly on the questionnaire.

20 CHAIRPERSON SCHWARZMAN: Great. Thank you.

21 PANEL MEMBER MCKONE: I mean, you wanted some
22 input on the questionnaire. Okay. Thanks.

23 CHAIRPERSON SCHWARZMAN: Yeah. So questions for
24 now and then we have plenty of time for discussion.

25 Jenny.

1 PANEL MEMBER QUINTANA: Hi. Thank you, Nayamin
2 and Gina for a great presentation about a great study.
3 Since these individuals participating are -- sounds like
4 quite often working in the fields -- the open fields
5 during the day, have you -- do they -- are they counseled
6 to wear masks? I know it's very hot to wear that or --
7 are there -- is there any kind of protection they could
8 put on during the day, since they're so exposed outside to
9 the smoke?

10 MS. MARTINEZ: Yeah, that is a program or a
11 campaign that we have implemented, an educational campaign
12 along with distribution of N95 masks. In the year of the
13 pandemic, we were able to -- we were just distributing
14 COVID relief cash assistance and we were asking, did you
15 receive this, because you have the right, the obligation
16 of the employers to give you this, because air quality is
17 hazardous, blah, blah, blah. And the response of almost
18 everybody was like, no, I have not received one. So
19 that's how we started, not only did we -- we surveyed 201
20 farmworkers. And then based on that, we did like a little
21 intervention. We have a wallet card that is in Spanish
22 and has a lot of visuals and has the employer obligation,
23 what the air quality is and how to, you know, go and check
24 it out.

25 We have them registered to receive text alerts,

1 so that they could know when the air quality is bad and
2 then we give them the N95 masks. However, the -- you
3 know, the flip side of that is that they have told us that
4 although they understand that they need these for their
5 protection, it is very uncomfortable, and that they feel
6 they are choking, because the wildfires can happen here in
7 the Valley when we have the heat as well.

8 So imagine wearing that N95 mask, trying to do
9 physical activity, and in the hundred plus degrees. So
10 people definitely are struggling to follow the advice,
11 although they know this is for their protection is really,
12 you know -- it's really difficult to follow. And some
13 frankly told me, you know what, I won't wear it,
14 because -- especially those that are working by contract,
15 they get paid the more that they work. And wearing the
16 mask they had -- they had to stop to take breaks, and it
17 was kind of slowing them down. So that's the struggle
18 that right now we are following between what the best
19 practice should be and what the reality of its
20 applicability is on the ground.

21 PANEL MEMBER QUINTANA: Yeah, they really need a
22 supplied air hood. They're trying to get some very
23 low-cost ones in the medical field. Actually, they're
24 trying to work on these very low-cost supplied air things
25 that don't make it so hard to breathe, you know.

1 MS. MARTINEZ: Either that or really not working
2 and being able to stay, you know, indoors or --

3 PANEL MEMBER QUINTANA: Yes, better.

4 MS. MARTINEZ: But that then the problem is how
5 are they going to pay the bills? If they don't work, they
6 don't get paid, so it's not an easy solution.

7 PANEL MEMBER QUINTANA: And I'm just curious, are
8 you collecting house dust as part of this study, because
9 it's a very interesting kind of record of pollution in a
10 home.

11 DR. SOLOMON: We don't have a plan right now to
12 collect house dust, though it's funny you should ask,
13 because we've added -- Nayamin and I had a conversation
14 about that and we're trying to -- yeah, we could always
15 collect it and then -- and then save it for potential
16 future analysis. So thank you for that suggestion. We'll
17 look into that more.

18 PANEL MEMBER QUINTANA: And my very last
19 question, I'm just curious if there's children -- commonly
20 children in the home or not, because that would be another
21 highly exposed population that if you're getting urine
22 samples maybe something to think about also collecting
23 those samples.

24 Thank you.

25 DR. SOLOMON: There are children in many of the

1 homes, not all, but we -- this -- we -- this study is
2 focused on women and -- you know, the -- because of the
3 funding from the California Breast Cancer Research
4 Program, we're really focused on women farmworkers.

5 We don't have -- we haven't gone to our IRB to
6 seek a -- you know, permission to recruit children. So
7 thanks for that suggestion. It is something to think
8 about.

9 PANEL MEMBER QUINTANA: They're baby women, some
10 of them.

11 CHAIRPERSON SCHWARZMAN: José.

12 PANEL MEMBER SUÁREZ: Yeah. Very nice
13 presentation. So you're interested in testing this
14 intervention and you're still tailoring a little bit what
15 the intervention -- the final intervention is going to
16 look like. And so you're looking at 58 participants. Is
17 this going to be a 50/50 split of the intervention or what
18 are you envisioning?

19 DR. SOLOMON: Yes, possibly. We may have -- we
20 may be more like 30/20. Really trying to get a feel for
21 that -- the swamp cooler filters. So if we -- if we could
22 outfit, you know, more than half, we will. We've had some
23 issues with -- swamp coolers are complicated. I had no
24 idea. So it turns out they come in a lot of different
25 shapes and sizes. And so I mentioned that our team has

1 figured out strategies that work for, you know, more than
2 50 percent of the side-mounted swamp coolers that are out
3 there. But there's a lot of different types. And so if
4 we have trouble recruiting, we end up with some that we
5 can't use. We'll have to put those in a control arm and
6 so that we'll need to determine how we do that.

7 PANEL MEMBER SUÁREZ: And your thought for the
8 control arm would be --

9 DR. SOLOMON: And then in some cases, people --
10 like the swamp cooler breaks, they buy another one of a
11 different type.

12 PANEL MEMBER SUÁREZ: Oh, yeah, well, I guess two
13 follow-up questions with that. So one of them -- so you
14 mentioned that there were a couple of participants whose
15 swamp coolers died. Was that kind of as a result of the
16 filter you think? Was there something of that sort? Do
17 you have any thoughts in that regard?

18 DR. SOLOMON: Of the ones where we had -- where
19 we had put the filters on. In a couple cases, the swamp
20 coolers broke before we even -- after we had recruited the
21 participants in April, but before we outfitted their
22 homes, which was in July.

23 And then in a couple cases, they were control
24 homes. So, you know, they weren't -- they -- none of them
25 had filters on them, so we don't think we actually damaged

1 any swamp coolers in our -- fortunately.

2 PANEL MEMBER SUÁREZ: Okay. That's good. And so
3 I guess I have a question about -- so you're doing some
4 biomonitoring. You're collecting urine only, I believe,
5 right?

6 DR. SOLOMON: Yes, that's correct, and saliva for
7 the telomere length.

8 PANEL MEMBER SUÁREZ: Okay. And so then
9 you're -- I'm just looking at your question for the SGP
10 about the timing of these collections versus one would be
11 seasonal versus pre-post filter installation. I don't
12 know if this is a good time to have a discussion about
13 that or if I should hold off to that until --

14 CHAIRPERSON SCHWARZMAN: No, I think we're just
15 going to do clarifying questions now and we have a good
16 chunk for discussion.

17 PANEL MEMBER SUÁREZ: Okay.

18 CHAIRPERSON SCHWARZMAN: Thank you.

19 PANEL MEMBER SUÁREZ: Okay. So then -- just my
20 final question is -- okay, so I mean, like, you're still
21 working on what the control intervention would look like,
22 it sounds like. And it will be something that's
23 beneficial, but you're still working -- okay. So I don't
24 have too much --

25 DR. SOLOMON: Yeah, the -- we're open to advice

1 on that. Part of the trade-off is the participants really
2 like the commercial air cleaner, the Levoits that we used.
3 They -- you know, they're nice looking. They're quiet.
4 They definitely, for the most part, tended to just use
5 them and leave them running, which was nice. The box fan
6 filter sometimes ended up in a closet or not used very
7 frequently, though that would probably change if it was
8 really smoky.

9 The box fan filters are obviously much more
10 affordable. So we could, you know, purchase those for
11 every home if we wanted to without too much difficulty.
12 So we're weighing the trade-offs there with the
13 interventions. And the box is so far from the preliminary
14 data, it actually looks like the homes that used the box
15 fan filters, the air quality actually looked a bit better.
16 I mean, it really -- they seemed to work extremely well.

17 PANEL MEMBER SUÁREZ: Thank you.

18 CHAIRPERSON SCHWARZMAN: Ulrike.

19 PANEL MEMBER LUDERER: Thank you. Thank you.
20 That's such a great study and thank you for a wonderful
21 presentation, both of you.

22 I have a couple of questions about the swamp
23 coolers, which is probably just related to my ignorance
24 about swamp coolers, but you mentioned the pads do they
25 have to be changed regularly?

1 DR. SOLOMON: (Nods head).

2 PANEL MEMBER LUDERER: Yes.

3 DR. SOLOMON: They have to be changed every year.

4 PANEL MEMBER LUDERER: Um-hmm.

5 DR. SOLOMON: And so one of the things that we
6 have as part of the study, I should -- I probably should
7 have mentioned it is we -- we're offering that as a free
8 service to all the study participants regardless of
9 whether they're in the control arm or the study arm. And
10 so we contracted with HVAC companies in each of our study
11 locations to go service -- professionally service the
12 swamps coolers, which involves a number of different
13 things, and, you know, cleaning them, changing out the
14 water, making sure the pump works well, and changing the
15 pads.

16 Yeah, that's all important, though we actually
17 had trouble with some of the HVAC companies. So we're
18 struggling with getting this done fully enough, but we're
19 planning to do it in some form next year as well.

20 PANEL MEMBER LUDERER: And then so kind of a
21 related question, you know, I think about wet pads. I'm
22 not sure exactly what the material is, but, I mean, do
23 they have problems with mold, which is obviously another
24 air contaminant?

25 (Laughter).

1 DR. SOLOMON: The most common kind of pad is
2 Aspen. And it's sort of a woven wood basically shredded
3 material, though some have cardboard, and then some have
4 this sort of blue, I don't know what they're made of, but
5 they're some kind of synthetic pad. So there are multiple
6 different pads out there on the market.

7 PANEL MEMBER LUDERER: Um-hmm.

8 DR. SOLOMON: I don't know about mold growth on
9 the pads, but we're very concerned about mold growth on
10 our filter interventions.

11 PANEL MEMBER LUDERER: Um-hmm.

12 DR. SOLOMON: So for that reason, when we
13 collected the filters from the homes, they're now -- one
14 filter from each of our participant homes is now in Jeff
15 Wagner's lab. And he's going to be doing microscopy to
16 evaluate what's on that filter, and that will include
17 looking for evidence of mold growth. There was some
18 dampness of some of the filters and we just want to make
19 sure we're not creating a problem.

20 PANEL MEMBER LUDERER: That is great.

21 And my last question is the questionnaire -- and
22 maybe you said this and I missed it, but is it going to be
23 one time or are you going to do them, you know, like in
24 each, you know, sampling window? Have you decided that
25 yet? Maybe you're still thinking about it.

1 DR. SOLOMON: So what we did this past summer was
2 one set of questionnaires in late April, beginning of May
3 when we recruited the participants, and another set the
4 first week of October when we removed our study
5 interventions, the filters and so forth.

6 And then in the interim during the summer, we did
7 periodic, very short sort of check-in questionnaires.
8 We're -- the Biomonitoring California team pointed out to
9 me that we'll need to actually ask biomonitoring-relevant
10 questions at the time periods when we collect the urine
11 samples. So we're going to rethink the timing of our
12 questionnaires and which we do when. It's probably a good
13 thing, because when you stack all those questions on at
14 once, it can become a pretty long interview. And so it
15 may work better to have different questionnaires at
16 different time periods.

17 PANEL MEMBER LUDERER: Thanks. That was -- yeah.

18 DR. SOLOMON: Yeah, and we're open to -- yeah,
19 and we'll -- we're working that out. Any input you have
20 on that would be welcome.

21 PANEL MEMBER LUDERER: Thanks.

22 CHAIRPERSON SCHWARZMAN: Thanks. I just want to
23 note that we have until 3:30 for our discussion. And so
24 that's just 20 minutes from now, so maybe we could keep
25 the questions kind of focused and leave enough time to

1 provide the study team with some input.

2 José.

3 PANEL MEMBER SUÁREZ: I forgot to lower my hand
4 from earlier.

5 CHAIRPERSON SCHWARZMAN: Okay. Thanks.

6 Eunha.

7 PANEL MEMBER HOH: Yeah, my question is going to
8 be quick. Just a clarification about the -- you mentioned
9 that you are -- you are going to test the VOCs and PAHs
10 and metals. And can you just clarify which samples you're
11 going to measure? And then in your questionnaire, is
12 there any question about kind of noise kind of concerns,
13 anything like that?

14 DR. SOLOMON: Yes. So on noise, we actually ask
15 a set of questions at the beginning and the end of this
16 study currently that -- again these -- this was our pilot
17 year and we were testing out questions, so we'll be making
18 some refinements, but we ask about what people -- about
19 concerns people have about their indoor and outdoor air
20 quality, and then we ask them about whether they like
21 their cooling system. And what -- if they don't, what
22 issues bother them and noise is one of the questions
23 there. But we -- we definitely need to ask a bit more
24 about that, I think.

25 And then in terms of the sampling, so there's the

1 environmental sampling. And Jeff, since you're -- I don't
2 know if you want to talk a little bit about what you're
3 planning. The environmental sampling is largely going to
4 be triggered by a wildfire event, if -- if we have a smoke
5 event, we're going to be out there doing pretty intensive
6 sampling to collect material. And, Jeff, I'll let you
7 respond -- talk about that a little bit.

8 DR. WAGNER: Sure. Yeah, thanks. We are
9 definitely still in the planning phases as far as the
10 details of particularly flow rates and sample durations,
11 which will be important. But the current plan is to use
12 sorbent tubes for gas phase VOCs and mixed cellulose ester
13 filters for metal analysis.

14 CHAIRPERSON SCHWARZMAN: Great. Thank you.
15 Jenny.

16 PANEL MEMBER QUINTANA: I'll try to be very
17 quick. This is really a clarification question. So it
18 sounded like you're taking away your intervention you just
19 said, so that you're going to remove your intervention.
20 I'm just wondering why you would remove it and not try to
21 leave -- leave your intervention there and leave the
22 PurpleAir and things like that. And then my second
23 question is I thought there was not a control per se. I
24 thought there was just going to be before and after the
25 intervention, but maybe I -- then you kept using the word

1 control, so do you have controls not getting anything, and
2 if so why? Why wouldn't you have -- just have a delayed
3 onset getting the intervention?

4 DR. SOLOMON: I'm so sorry, yeah, that was
5 unclear. What I'm calling controls are the ones that
6 don't have the swamp cooler filters, but instead either
7 the air purifier or the box fan.

8 PANEL MEMBER QUINTANA: That's what I thought.
9 Okay.

10 DR. SOLOMON: We don't have a no-intervention
11 control. We did end up having two homes with no
12 intervention this summer, because we had set them up with
13 PurpleAirs, and then they -- for a variety of reasons,
14 they either didn't use the box fan at all or were -- in
15 one other home, we just weren't able to install anything,
16 but we had the PurpleAir data, so we ended up with two
17 homes with no intervention. That was not intentional to
18 be honest. And this coming summer, yeah, that we'll have
19 data pre- and post-installation of the filters.

20 So wait. Let's see -- so your other question was
21 about -- I'm sorry.

22 PANEL MEMBER QUINTANA: Why you would remove --
23 did you say you'd --

24 DR. SOLOMON: Why we'd --

25 PANEL MEMBER QUINTANA: -- remove your

1 interventions?

2 DR. SOLOMON: Yes.

3 PANEL MEMBER QUINTANA: Why wouldn't you leave
4 everything in place?

5 DR. SOLOMON: Yeah. So in the fall, people stop
6 using their swamp coolers. They turn them off. They
7 usually drain the water and cover them, and so the filters
8 really have to come off. And in addition, we discovered
9 that, you know, in time the filters start to degrade.
10 There's sunlight. There's dust. There was some -- you
11 know, it starts to rain. And so for all of those reasons,
12 we can't leave those filters on.

13 The PurpleAirs, the EPA requires a lot of quality
14 assurance of their grantees. And so we actually did pull
15 back the PurpleAirs after this summer to do
16 side-by-side -- you know, to do testing to make sure that
17 they are ready for field deployment again next summer.

18 We only pulled back the indoor air PurpleAirs and
19 the outdoors are gifts to the community. So we have three
20 outdoor PurpleAirs installed with the data, you know,
21 publicly available in each of our study communities.

22 But, yeah, so afterwards, I don't know if people
23 will want to keep the indoor PurpleAirs, but we would
24 offer it to folks if they want at the end of the study.
25 We also are not sure if we're going -- the participants

1 from next year will be enrolled again this year. It was a
2 one year assent and we're going to be going back and
3 reconsenting and sort of, you know, for year two.

4 And then with the --

5 PANEL MEMBER QUINTANA: And then what about the
6 filter rate, filtration, the air filters?

7 DR. SOLOMON: -- the Levoits and box fan filters,
8 we are giving those to the participants --

9 PANEL MEMBER QUINTANA: Okay.

10 DR. SOLOMON: -- who were assigned those.

11 PANEL MEMBER QUINTANA: Okay. Great.

12 DR. SOLOMON: We're replacing the filters,
13 because in most cases they were pretty dirty. So we
14 pulled them back to the CCEJN offices. We are swapping
15 out the filters and then giving them back to those folks.

16 PANEL MEMBER QUINTANA: Thank you.

17 CHAIRPERSON SCHWARZMAN: Great. I just want to
18 check in with Cheryl. I want to see if there's any
19 questions that we need to highlight from webinar attendees
20 or the public.

21 DR. HOLZMEYER: No. No new questions. Thank
22 you.

23 CHAIRPERSON SCHWARZMAN: Okay. Great.

24 In that case, we can turn it over to the
25 discussion and all the input you all were sitting on to

1 provide for this study.

2 I know that José had suggestions about the
3 questionnaires. Do you want to start with that?

4 PANEL MEMBER SUÁREZ: It was actually about the
5 biomonitoring -- the timing of the biomonitoring. So I
6 just had a question there. Well, when should -- what's
7 the timing? Should it be spring, or summer, or fall or
8 the pre- or post-installation? My thought would be
9 probably focusing on the wildfire season, because that way
10 you'll be more -- I mean, they'll be -- you'll be able to
11 see more differences, right? Because my understanding is
12 that your objective is to look at the differences between
13 one intervention versus the other intervention, right?

14 So you'd see the biggest difference, the biggest
15 change overall during those high-exposure periods, because
16 that's when most of the intervention will really be most
17 effective ultimately. So my thought what is -- I liked
18 the idea of having the pre-, post- during the wildfire
19 season, so then you can compare how much change there was
20 across both of the treatment groups during a period of
21 high exposure, and then -- you know, I guess that would be
22 my initial thought and recommendation.

23 CHAIRPERSON SCHWARZMAN: Thanks.

24 Tom.

25 PANEL MEMBER MCKONE: Yes. I guess -- I -- and

1 this -- I have a thought about like locations, and maybe
2 you've already thought this through, but if it is through
3 the questionnaire or survey, because you may have alluded
4 to the fact that some people use the swamp cooler only in
5 like a bedroom or one room and maybe others have a whole
6 house version. And the same may be true of the filters,
7 they may move it around like the -- I mean, I'm talking
8 about the Levoit-type mechanical or the box one. But I
9 don't know if through the questionnaire you can elicit
10 like exactly where the effect is going to be. So if
11 somebody has a swamp cooler only in their bedroom, they
12 may not get a lot of benefit, and you probably will see
13 that with the PurpleAir, depending upon where it's
14 located.

15 But I'm just wondering if you're going to use the
16 questionnaire to get a sense of where people are locating
17 the air cleaning -- or where the air cleaning
18 effectiveness will be targeted, like more whole house in
19 some cases, more single room, and how you might elicit
20 that. I mean, something to think about.

21 DR. SOLOMON: Thanks. That's a good question.
22 The swamp coolers that we saw, every single one of them
23 went to the -- sort of a common room. You know, often it
24 was sort of a combined living, dining, kitchen area. And
25 so I didn't -- we didn't actually see any swamp coolers

1 that went to bedrooms. And then it was not unusual for
2 some of the bedrooms to have window air conditioners,
3 though that was not true in all the homes, though we --
4 you know, that -- that's a whole other variable. We have
5 schematics of all the homes with the locations of the
6 swamp cooler outflow, the location of the PurpleAir and
7 whether there are other cooling -- you know, like in a
8 window AC. We -- since the swamp coolers were all in the
9 common room, all the PurpleAirs went into the common room
10 area as well. Trying to put them as far from the kitchen
11 area as possible. But since these were small spaces, we
12 are picking up a lot of effect from cooking.

13 PANEL MEMBER MCKONE: Yeah, if I could just
14 follow up, because the cooking was another issue about --
15 I mean, I watch PurpleAir in my neighborhood, just the --
16 and it's really amazing, at meal time, there are houses
17 around here that will go off the charts, even when the,
18 you know, the outdoor air quality is, you know, 15 or
19 whatever, really good. And then you'll see the indoor
20 ones at night just jump, because some people are really --
21 as soon as you start frying foods -- so depending upon how
22 they cook foods, it's going to send the PurpleAirs right
23 off the chart. And I guess you can at least watch for
24 that or ask them what they cook, because it really is
25 dependent on how they cook their food and if they're

1 frying things. If they're using cooking oil, high
2 temperatures, they're just going to be generating -- you
3 know, they're going to get up to 150 without much effort.

4 DR. SOLOMON: Yeah, that's definitely true. And
5 a minority of the homes had -- had stove hoods that
6 functioned, so -- and, you know, that is something that we
7 see in our data. We do see cooking effects. And we're
8 trying to correct for that. And it is -- it is going to
9 be an issue potentially with the biomonitoring that we're
10 also thinking about. I'm not quite sure how to solve
11 that.

12 CHAIRPERSON SCHWARZMAN: I have a quick question
13 and then I'll get to Ulrike next. Will you remind me what
14 the -- what your assessment is of outdoor exposure? There
15 was timing of urine collection that was meant to capture
16 exposure outdoors, as opposed to exposure indoors. Can
17 you remind me what that was?

18 DR. SOLOMON: So one -- one of the possibilities
19 that we've talked about is doing morning and evening,
20 so -- actually the opposite, evening and then morning, so
21 doing after a workday, collecting urine sample, that could
22 then actually potentially be frozen in that person's home
23 freezer overnight, get a first thing in the morning
24 sample, after the person has been, you know, one hopes
25 receiving the benefit of the air quality intervention

1 overnight, and then pick both up and freeze them at minus
2 20 shortly after that. So that would be one approach.

3 And that could be done, you know, before any
4 wildfire event happens to sort of capture baseline
5 potentially and then maybe during a wildfire event. Of
6 course, we don't know for sure if or when we would have a
7 wildfire, and -- but if we do, then, you know, obviously
8 that would be a perfect way of maybe getting that sense of
9 what's -- what -- where people are getting their
10 exposures.

11 And then the other option would be to look just
12 before and just after we install the filters. Then the
13 question is are we installing during a wildfire event or
14 are we installing just sort of on a perfectly nice day, at
15 which point we might not see very much. So there's a lot
16 of things we're struggling with right now as we refine the
17 design.

18 CHAIRPERSON SCHWARZMAN: Thank you for that. I'm
19 very intrigued by the idea of collecting -- if you're
20 looking at these -- at farmworkers and/or I support if
21 you -- if you're having any difficulty with recruitment,
22 certainly including other outdoor workers. I think it's
23 very intriguing and potentially very useful from a public
24 health standpoint to be able to catch that evening urine
25 followed by morning, because, you know, the intervention

1 in this study, of course, is in the home, but that could
2 potentially generate really useful data for other kinds of
3 interventions.

4 I'm sure you're aware of the work that Cal/OSHA
5 is doing around a respiratory protection standard for
6 wildfire, wildland firefighters, and for that, you know,
7 it's a technology-forcing regulation and there's
8 developing PAPRs that are appropriate and usable by
9 firefighters in wildland settings and the WUI settings.
10 And the idea that ultimately like gathering data on
11 exposure -- outdoor exposures for farmworkers could
12 potentially inform a similar kind of standard for
13 agricultural workers who have to work during wildfires or
14 something. It's tantalizing the idea that you could
15 generate a little bit of that data that's not specific to
16 the intervention here, but might also be really meaningful
17 from a public health perspective.

18 MS. MARTINEZ: I think that idea is great and
19 although definitely separate from the project. I do want
20 to clarify that being a farmworker is not a criteria for
21 participation. It's just basically the type of swamp
22 cooler, that they have a swamp cooler that is functioning
23 and all that. However, the reality is that a lot of the
24 people who live in these homes that we're recruiting,
25 that's their main occupation, but it's not the only one.

1 And we are not, you know, necessarily saying you have to
2 be a farmworker for them to participate.

3 CHAIRPERSON SCHWARZMAN: Great. Thank you so
4 much for that.

5 Ulrike.

6 PANEL MEMBER LUDERER: Yeah, so I have just a --
7 kind of a comment and question about the questionnaire,
8 and sort of related to what Tom was talking about with
9 the, you know, cooking as a source of PM, pollution inside
10 the home. You know, in your questionnaire, are you going
11 to be asking about -- you know, especially if you're
12 doing -- I mean, you know, to try to get a sense of what
13 other exposures, you know, might be. I noticed that there
14 was like a barbecue grill I think in one of your photos if
15 I wasn't -- you know, are you going to be asking kind of
16 about use of those devices, you know, around the time when
17 there -- you were doing the sampling. Fireworks. You
18 know, people like to set off fireworks, things like that,
19 you know, that might contribute to, you know, PM readings
20 maybe in your -- well, I guess you don't have outdoor ones
21 everywhere, right? You said you just have them kind of
22 distributed in the community, is that right? So it
23 wouldn't really affect the outdoor readings, but it might
24 affect the indoor readings.

25 DR. SOLOMON: Yeah. We have roughly three

1 PurpleAirs in -- you know, distributed around each of our
2 communities, so it's not every home.

3 Yeah. We ask questions about burning candles,
4 burning incense. We ask questions about smoking sort of
5 beyond the recruitment, you know, making sure that -- you
6 know, there's no smokers in the home. And then we
7 definitely ask questions about -- and tested people's
8 stove hoods if they had stove hoods. We asked about
9 whether they use them.

10 But we didn't ask -- and then we observed things
11 like, you know, wood piles, outdoor tortilleras, you know,
12 because there were people who actually had -- obviously
13 would, you know, cook outdoors.

14 PANEL MEMBER LUDERER: Um-hmm.

15 DR. SOLOMON: And then -- yeah, and barbecues and
16 things like that. So that's all -- we didn't think of
17 fireworks.

18 PANEL MEMBER LUDERER: Yeah, during the pandemic,
19 they became infinitely more popular, at least where we
20 lived, so...

21 All right. Well, thank you.

22 CHAIRPERSON SCHWARZMAN: Great. It's just about
23 time to wrap-up, but Jenny I want to get your question or
24 comment in and then we'll move on.

25 PANEL MEMBER QUINTANA: Sorry. I'll try to be

1 very quick. Again, thank you for your answers. I'm just
2 wondering for the questionnaire, if you ask about
3 cleaning, either behaviors or equipment, like do they
4 sweep with a broom? We often see a big huge spike with
5 sweeping and sometimes vacuums that don't have HEPA
6 filter. Also, pets can also really stir up the air, and
7 so do you ask about pets in the home?

8 Thank you.

9 DR. SOLOMON: Yes, we asked actually I think
10 about all of those things. We asked about sweeping,
11 vacuuming, pets, and -- indoor pets. Yeah, a lot of the
12 homes had out -- pets in the yard, who didn't come into
13 the homes, but it was -- so we had to -- we realized when
14 we asked about pets in the first questionnaire, we missed
15 that distinction, which is important. So now we're
16 specifying really indoor pets, so, yeah, we'll -- I think
17 we'll be covering all of those issues.

18 CHAIRPERSON SCHWARZMAN: Great. Thank you so
19 much. Nayamin and Gina, it's really fascinating to hear
20 about this study. Exciting. And we really look forward
21 to hearing results down the line. Thank you for letting
22 us have a word in as you think about the design of the
23 next phase. And thank you for doing the work.

24 MS. MARTINEZ: Thank you.

25 CHAIRPERSON SCHWARZMAN: I'll move on now to

1 introduce Stephanie. So Stephanie Jarmul is Acting Chief
2 of the Safer Alternatives Assessment and Biomonitoring
3 Section in OEHHA. She'll provide a brief overview of the
4 plan for SGP meetings in 2023. And then we'll have a
5 little time for questions or discussion about that and
6 then some open public comment period before we adjourn.

7 Thanks, Stephanie.

8 MS. JARMUL: Thanks, Meg.

9 And just two quick points before I get into the
10 presentation. This presentation and discussion will
11 likely be very brief, so we could always go back to the
12 discussion on FRESSCA if there is some pressing questions
13 you may have. And also today won't be the last
14 opportunity for discussion, as you'll be hearing more from
15 the Biomonitoring California team next year, after we've
16 figured out some of the details that we've discussed
17 today.

18 I'll go share my screen.

19 (Thereupon a slide presentation).

20 MS. JARMUL: Okay. Can you see my slides?

21 CHAIRPERSON SCHWARZMAN: Looks good.

22 MS. JARMUL: Okay. So I'm just going to briefly
23 discuss our plans for next year's Scientific Guidance
24 Panel meetings.

25 --o0o--

1 MS. JARMUL: You'll see that we've worked with
2 the Panel to select the following dates and times. That
3 will be Tuesday, March 7th, 10 a.m. to 1 p.m., so in the
4 morning; Friday, August 21st, 1 p.m. to 4 p.m. in the
5 afternoon; and then Monday, November 6, 1 p.m. to 4 p.m.
6 And the Bagley-Keene exemption for having to meet in
7 person has been extended until July of next year. So we
8 will definitely hold the March meeting via Zoom webinar.
9 And we'll make a decision on the meeting format for August
10 and November after further internal discussions and
11 factoring in any potential new language around
12 Bagley-Keene that may be introduced before next July.

13 You'll also notice that we will be continuing
14 with the half-day meeting format, as we discussed in
15 November of last year, but we can always extend the
16 meetings as needed.

17 --o0o--

18 MS. JARMUL: Similar to this year, our standing
19 agenda will include a Program update, which will include
20 an update on our community biomonitoring studies and an
21 opportunity for discussion and input from the Panel and
22 audience. There are other potential topics of interest
23 that we have planned or could consider exploring. For the
24 March meeting, we'll actually be hearing from Matt McLeod
25 from the Stockton University in Sweden on his application

1 of -- oh, sorry, Stockholm. I think I said Stockton.

2 (Laughter).

3 MS. JARMUL: -- University in Sweden on his
4 application of a population-based pharmacokinetic model to
5 help interpret the PFAS data from CARE. That will be
6 happening in March. The Program will also report back on
7 our progress regarding the PFAS definition that we've
8 discussed, I believe, at the July meeting -- or in March.
9 And we'll be discussing that sometime later next year.

10 And we could also consider a discussion of the
11 recently published National Academies of Science Guidance
12 regarding the PFAS testing and clinical follow-up, and
13 potential implications for State biomonitoring programs.

14 Other topics of interest that we could consider
15 exploring include expanding the Program's capacity to
16 biomonitor for pesticides, prioritization and development
17 of laboratory methods, such as non-targeted screening, and
18 how to better address climate change through the Program's
19 activities.

20 And as always, we welcome any input from the
21 Panel and audience on these items and additional topics we
22 should consider. So I'll stop there and see if anybody
23 has any questions or suggestions about this plan, either
24 from the Panel or the audience or if that all sounds good.

25 PANEL MEMBER QUINTANA: This is --

1 CHAIRPERSON SCHWARZMAN: Jenny, yeah, go ahead
2 Sorry.

3 PANEL MEMBER QUINTANA: Is this a good time to
4 suggest additional topics?

5 MS. JARMUL: Sure.

6 PANEL MEMBER QUINTANA: Oh. I just remember --
7 and perhaps it's just me not following the literature,
8 that we were very excited about measuring metabolites of
9 1-nitropyrene in urine as part of the various studies.
10 And there was some debate at the time about differential
11 levels in children versus adults and kind of best
12 practices about -- around that issue, and how to interpret
13 the levels.

14 And I just think it's so exciting if we could
15 show the effects of the clean diesel programs by CARB and
16 really show a public health benefit that I'd like -- I'd
17 personally like to see more regarding this biomarker and
18 the data collected and interpretations of it, as a
19 suggestion.

20 MS. JARMUL: Thank you.

21 Any other suggestions or questions?

22 CHAIRPERSON SCHWARZMAN: José, that's fine, yeah.

23 PANEL MEMBER SUÁREZ: Yeah. Hi, Stephanie. So
24 with regards to the biomonitoring for pesticides, are
25 you -- is it what -- tell me a little bit more about your

1 interest in that regard. You want to know which ones to
2 potentially be adding, what -- or what's the question, I
3 suppose?

4 MS. JARMUL: That is part of it. And if the
5 chemicals are currently on our designated list, the ones
6 that are currently being used in California. We know that
7 there is a lot of interest, especially through the AB 617
8 communities, that's a very common pollutant of concern for
9 these communities. So it's certainly something we want to
10 look into, whether we have the pesticides that they're
11 using on our list, and if not, should we add them? And if
12 we have them, do we have the methods to monitor for them?

13 PANEL MEMBER SUÁREZ: Got it. Okay. Yeah, I
14 mean, making sure that I think the Program is monitoring,
15 indeed, some of the most commonly used pesticides but
16 across all the different kinds. I think for a lot of
17 areas they're monitoring for insecticides. You know, the
18 most -- some of the most commonly included, they're
19 followed by herbicides, but not really much with
20 fungicides. So it would be nice to kind of dissect a
21 little bit the list that you have right now and seeing how
22 much of each class really are being measured. And, of
23 course, within each of one of those you have a lot of
24 subclasses. And that's a whole topic. So I think like
25 the discussion for biomonitoring of pesticides will

1 require a good amount of work.

2 MS. JARMUL: Definitely.

3 CHAIRPERSON SCHWARZMAN: Any other questions or
4 comments for Stephanie and the Program, on priorities, and
5 upcoming meetings, and things you'd like to hear more
6 about?

7 PANEL MEMBER SUÁREZ: I have a question about --
8 so then the format is one of the things that you
9 mentioned, whether to keep it -- so it sounds like for
10 August, it would still be a virtual meeting and -- is that
11 what I understood and then defining later on what the
12 next -- how it should be in the future?

13 MS. JARMUL: Yeah, so -- and that's really
14 because of the Bagley-Keene exemption, so -- of having to
15 meet in person, so that is set to expire in July. So we
16 need to have some more internal discussions within OEHHA
17 to figure out what direction we're going to take, if and
18 when that exemption does expire.

19 So that's why it's still TBD for August and
20 November, if we might have a hybrid version like we did in
21 July or some other policy.

22 PANEL MEMBER SUÁREZ: Okay. Thank you.

23 CHAIRPERSON SCHWARZMAN: Ulrike.

24 PANEL MEMBER LUDERER: Yes. You know, sort of
25 related to your biomonitoring for pesticides, and I agree

1 that that -- that that is something that is -- it would
2 definitely be worth pursuing and especially, you know,
3 possibly pesticides that are not currently already being
4 biomonitored under the Program. But related to that,
5 the -- I'm thinking about maybe doing biomonitoring for
6 pesticides in the context of occupation and doing some
7 occupational study around that, because I think that's
8 something that I know in the past the Program has done
9 some occupational studies, but I think it would be useful
10 to incorporate that into some of the future planning that
11 we're -- you're going to be thinking about. And that
12 might be one area in particular where it would be really
13 interesting to do biomonitoring for pesticides.

14 MS. JARMUL: Thank you.

15 CHAIRPERSON SCHWARZMAN: Maybe I could just check
16 and see about public -- or that -- sorry audience
17 questions at this moment.

18 We'll go to the open public comment period in a
19 minute, but if there's any email or webinar questions from
20 attendees.

21 DR. HOLZMEYER: No new questions.

22 Thank you.

23 CHAIRPERSON SCHWARZMAN: Thanks, Cheryl.

24 Anything else from the Panel on what you'd like
25 to see in the coming year? I know that the Program is

1 happy to take this kind of input at any point, but this is
2 just sort of one focused moment where we have the
3 opportunity.

4 In that case, maybe I will go back to the --
5 sorry, open the public comment period. We have 15 minutes
6 allotted -- thank you so much Stephanie for the
7 presentation.

8 We have 15 minutes allotted for the open public
9 comment period. And this is really intended for any topic
10 related to Biomonitoring California and webinar attendees
11 can speak up by using the raise hand function or by
12 submitting written comments via the Q&A function of Zoom
13 or by email to biomonitoring@oehha.ca.gov and we'll read
14 them out loud.

15 So I see we have a raised hand from Jianwen. Go
16 ahead, please.

17 DR. SHE: Hi. This is Jianwen She. I'm one
18 section. I'd like to follow up how Dr. Ulrike mentioned
19 about monitoring an occupation exposed with pesticides. I
20 do remember when the -- our laboratory start almost 12
21 years ago, the first project that we tried to do was
22 monitor pesticide -- organophosphate pesticide exposure
23 with the -- in the Tulare County.

24 And at that moment, we do not have full
25 capability to monitor multiple biomarkers. I think today

1 the Program already developed the -- at least OP flame
2 retardant -- OP pesticides multiple metabolites. Also
3 monitor -- monitoring occupational exposure might be easy
4 to explain, if any biological health effect exist. For
5 general populations very hard to link that exposure
6 levels, even we find it with specific person effect. So I
7 really like that idea for the Program to consider in the
8 future a round of study consider occupation exposure
9 included in the pesticide proposal.

10 Thank you.

11 CHAIRPERSON SCHWARZMAN: Thank you.

12 Anyone else in attendance or is there anything on
13 the email forum?

14 And Jianwen, are you raising your hand again or
15 is the -- if so, you're welcome to unmute and speak.

16 Oh, you're still muted.

17 DR. SHE: Actually, I'm done now and tried to
18 lower my hand. Sorry.

19 CHAIRPERSON SCHWARZMAN: No problem.

20 Stephanie, if there's --

21 MS. JARMUL: Actually --

22 CHAIRPERSON SCHWARZMAN: Oh, go ahead. Sorry.

23 MS. JARMUL: -- I do see a hand raised from Clay
24 Larson. So, Clay, I'm going to give you permission to
25 talk and you'll likely have to unmute yourself.

1 MR. LARSON: All right. Thanks. First, I'd like
2 to note, I really enjoyed the presentation. We may be
3 doing a presentation soon and I've talked to Stephanie
4 several times. You guys set the bar a little -- pretty
5 high for -- in terms of being able to duplicate the
6 feeling of a real meeting. I'm impressed. We don't have
7 Zoom, so we're a little disadvantaged.

8 I did have a question. And I checked a number of
9 years ago, the -- there's an agricultural -- a couple
10 agricultural chemicals that are designated zeranol and
11 trenbolone. As of a couple years ago, there was no plans
12 for monitoring those. I haven't checked since -- does --
13 as far as the Panel knows, there's still no plans for
14 monitoring? And these are -- these are additives in --
15 used with beef cattle. Trenbolone is an -- is an
16 androgen. It's legal in the United States. It's not
17 illegal -- it's not legal in Europe and many other places
18 in the world, but it's legal in this country. And so is
19 there any -- does any of the Panel know of any plans to
20 ever look at those chemicals?

21 MS. JARMUL: Sorry, Clay. Are you talking about
22 biomonitor -- plans to biomonitor for them within our
23 Program or external?

24 MR. LARSON: Yeah, I was -- I mean, they're
25 designated chemicals in the Biomonitoring Program, but as

1 far as -- as again, when I checked a couple years ago,
2 there was, I would say, no interest in, no plans for
3 actually monitoring those chemicals, but I haven't checked
4 for several years.

5 MS. JARMUL: Nerissa, did you want to say
6 something?

7 DR. WU: Yeah. I guess I would just comment that
8 there are many more chemicals on our designated and
9 priority lists than we actually have laboratory capacity
10 to measure. There, unfortunately, are many, many
11 chemicals of interest that we recognize as being important
12 to monitor, but our capacity is limited, and so it's a
13 matter of trying to focus on what are the most -- the most
14 pressing things or the priorities for our Program at the
15 time within -- within that limit.

16 MR. LARSON: All right. Thanks.

17 CHAIRPERSON SCHWARZMAN: Thank you. And
18 Stephanie or Cheryl, one last check, if there's
19 anything -- anyone I'm missing on the webinar or anything
20 on the OEHHA email that we should catch?

21 MS. JARMUL: (Shakes head).

22 CHAIRPERSON SCHWARZMAN: Okay. Hearing nothing.
23 Thank you so much for that.

24 I -- Stephanie, do you want to give -- weigh in
25 on the question of we have 10 minutes of people's time

1 that we could use. Should we adjourn now or did you want
2 to return to the previous discussion? It seemed like that
3 discussion had maybe wrapped up, but maybe I could ask the
4 Panel if anyone has anything burning? It looks like
5 Oliver has something he could say and then I guess I'll
6 open it back up to the Panel for a moment and we have
7 until 4 o'clock if anyone has anything that didn't get
8 aired.

9 Oliver, go ahead.

10 PANEL MEMBER FIEHN: Yeah. I had wondered, there
11 was something announced on the agenda of a declaration of
12 emergency, Hunters Point Biomonitoring Foundation
13 Corporation, what happened to that? Is that --

14 MR. JARMUL: That was a public comment that we
15 had received via email and we have posted it to our
16 website.

17 PANEL MEMBER FIEHN: Okay. So that's -- that's
18 all that happens?

19 MS. JARMUL: Correct.

20 PANEL MEMBER FIEHN: Okay. I thought somebody
21 wanted to say something. Okay.

22 CHAIRPERSON SCHWARZMAN: Any other questions or
23 comments from the Panel members that we didn't get to?

24 In that case, I will make a couple of
25 announcements that I need to make before we adjourn and we

1 can finish. The transcript of this meeting will be posted
2 on the Biomonitoring California website when it's
3 available. The next SGP meeting, as Stephanie mentioned,
4 will be on March 7th 2023 and that's from 10 in the
5 morning till 1 p.m. Attendees can join via Zoom webinar
6 like this one.

7 And with that, I want to thank the Panel, a big
8 thank you to the staff, and our guest speakers who made
9 the meeting what it is today, and also to the audience who
10 attended. And I'll adjourn the meeting.

11 Thank you very much.

12 (Thereupon the California Environmental
13 Contaminant Biomonitoring Program, Scientific
14 Guidance Panel meeting adjourned at 3:51 p.m.)
15
16
17
18
19
20
21
22
23
24
25

