

CALIFORNIA ENVIRONMENTAL CONTAMINANT BIOMONITORING PROGRAM

(BIOMONITORING CALIFORNIA)

SCIENTIFIC GUIDANCE PANEL MEETING

CONVENED VIA HYBRID FORMAT BY:

OFFICE OF ENVIRONMENTAL HEALTH HAZARD ASSESSMENT

CALIFORNIA ENVIRONMENTAL PROTECTION AGENCY

STATE OF CALIFORNIA

DHARMA COLLEGE

CONFERENCE ROOM

2222 HAROLD WAY

BERKELEY, CALIFORNIA

WEDNESDAY, MARCH 20, 2024

1:00 P.M.

JAMES F. PETERS, CSR
CERTIFIED SHORTHAND REPORTER
LICENSE NUMBER 10063

J&K COURT REPORTING, LLC

JPETERS@JKREPORTING.COM

APPEARANCES

PANEL MEMBERS:

Megan R. Schwarzman, MD, MPH, Chair

Carl F. Cranor, PhD, MSL

Oliver Fiehn, PhD

Ulrike Luderer, MD, PhD

Thomas McKone, PhD

Amy Padula, PhD, MSc

José R. Suárez, MD, PhD, MPH

OFFICE OF ENVIRONMENTAL HEALTH HAZARD ASSESSMENT:

Dave Edwards, PhD, Chief Deputy Director

Rebecca Belloso, MPH, Health Program Specialist I, Safer Alternatives and Biomonitoring Section, Reproductive and Cancer Hazard Assessment Branch

Stephanie Jarmul, MPH, Section Chief, Safer Alternatives Assessment and Biomonitoring Section, Reproductive and Cancer Hazard Assessment Branch

Martha Sandy, PhD, MPH, Chief, Reproductive and Cancer Hazard Assessment Branch

McKenna Thompson, MPH, Research Scientist I, Safer Alternatives and Biomonitoring Section, Reproductive and Cancer Hazard Assessment Branch

CALIFORNIA DEPARTMENT OF PUBLIC HEALTH:

Kathleen Attfield, ScD, Chief, Exposure Surveillance and Epidemiology Unit, Environmental Health Investigations Branch

APPEARANCES CONTINUED

CALIFORNIA DEPARTMENT OF PUBLIC HEALTH:

Susan Hurley, MPH, Research Scientist III, Environmental Health Investigations Branch

Toki Fillman, MS, Research Scientist, Environmental Health Investigations Branch

Jennifer Mann, Ph.D., Research Scientist IV, Exposure Assessment Section, Environmental Health Investigations Branch

Nerissa Wu, PhD, MPH, Chief, Exposure Assessment Section, Environmental Health Investigations Branch

SPECIAL GUESTS:

Jill Johnston, PhD, Associate Professor of Population and Public Health Sciences, University of Southern California

Yan Lin, PhD, Postdoctoral Associate, Duke Global Health Institute

Wendy Linck, PG, PMP, Division of Water Quality, California State Water Resources Control Board

ALSO PRESENT:

Nancy Buermeyer, Breast Cancer Prevention Partners

Shoba Iyer, PhD, San Francisco Environment Department

Ahimsa Porter Sumchai, PhD, Hunters Point Community Biomonitoring Program

INDEX

PAGE

Welcome	
David Edwards, PhD, Chief Deputy Director, Office of Environmental Health Hazard Assessment (OEHHA)	1
Overview of the Meeting	
Meg Schwarzman, MD, MPH, Chair, Scientific Guidance Panel (SGP)	7
Program Update	
Presentation: Nerissa Wu, PhD, MPH, California Department of Public Health (CDPH)	10
Presentation: Toki Fillman, MS, California Department of Public Health (CDPH)	18
Presentation: Wendy Linck, PG, PMP, Division of Water Quality, State Water Resources Control Board	30
Panel and Audience Questions	41
Panel Discussion and Input	55
Biomonitoring for Oil and Gas Exposures	
Presentation: Jill Johnston, PhD, Associate Professor of Population and Public Health Sciences, University of Southern California	62
Panel and Audience Questions	70
Presentation: Yan Lin, PhD, Postdoctoral Associate, Duke Global Health Institute	76
Panel and Audience Questions	91
Open Discussion Period	98
Open Public Comment Period	110
Wrap-up and Adjournment	113
Reporter's Certificate	115

PROCEEDINGS

1
2 DR. DAVE EDWARDS: Well, good afternoon. I would
3 like to welcome Panel members and the audience to the
4 March meeting of the Scientific Guidance Panel for
5 Biomonitoring California, more formally known as the
6 California Environmental Contaminant Biomonitoring
7 Program. Thank you all for joining us today.

8 The Panel last met on November 6th, 2023, where
9 two meetings were held. So as a reminder, the August 2023
10 meeting was rescheduled to the morning of November 6th
11 following an emergency proclamation of extreme weather.
12 The rescheduled August meeting included updates on
13 Biomonitoring California Program activities including PFAS
14 detection methods in serum and plasma. The Panel also
15 considered the expansion of the PFASs designated chemical
16 group. The Panel voted unanimously to recommend that the
17 chemical group perfluoroalkyl and polyfluoroalkyl
18 substances (PFASs) and other substances with
19 carbon-fluorine bonds be included as designated chemicals
20 for Biomonitoring California.

21 In making this recommendation, Panel members
22 highlighted: the importance of capturing exposure
23 potential of chemicals with carbon-fluorine bonds through
24 biomonitoring data; the benefits of increased flexibility
25 for the Program to identify exposures to chemicals with

1 carbon-fluorine bonds through non-targeted analyses; and
2 the need for the Program to carefully review the chemical
3 properties and exposure data specific to individual
4 chemicals in this group when determining which chemicals
5 to include in future biomonitoring studies.

6 So that was the first meeting, or the August
7 meeting.

8 So then this next meeting on the afternoon of
9 November 6th, we -- the SGP met for regularly scheduled
10 November meeting. The meeting included updates on AB 617
11 community biomonitoring studies, including results from
12 the Stockton Air Pollution Exposure Project, or SAPEP.

13 Key discussion topics included: evaluating the
14 impact of the swamp cooler filters and portable air
15 cleaners installed at participants' homes during the
16 FRESSCA-Mujeres study, and the potential for follow-up
17 with study participants.

18 Topics related to SAPEP included: interpretation
19 of the data for biomarkers of oxidative stress and
20 inflammation; interpreting the 2-naphthol results in urine
21 samples; database to help identify potential sources of
22 naphthalene or carbaryl in the Stockton area; and lastly,
23 key concepts to communicate to participants and the larger
24 community when sharing study findings. So the summaries
25 and transcripts of both of these meetings are posted on

1 their respective meeting pages on the Program's website at
2 biomonitoring.ca.gov.

3 I also want to take the time to recognize that
4 during the COVID-19 pandemic Biomonitoring California
5 turned 15. Now that we are meeting in person again, we
6 are taking the opportunity to celebrate at a reception
7 here at Dharma College following this meeting's
8 conclusion. To those of you attending today's meeting in
9 person or tuning in from nearby, we hope you will join us.
10 There will be some toasts and brief remarks at the event,
11 but I thought I would highlight some of the key
12 accomplishments of the Program in its first 15 years.

13 These include: conducting nearly 30 studies in
14 almost 8,000 Californians looking at chemicals such as
15 metals, phenols, PAHs, and PFASs; collaborating with over
16 50 community organizations to understand how biomonitoring
17 can address exposure concerns in their communities and
18 designing studies to identify unequally exposed
19 subpopulations; maintaining and updating the lists of
20 designated and priority chemicals to keep up with the
21 constantly growing numbers of chemicals of concern on the
22 market; developing over 35 chemical fact sheets including
23 lead, organophosphate, pesticides, and BPA in multiple
24 languages; and lastly, upholding the Program's mandate to
25 return biomonitoring results to participants in a

1 culturally and linguistically appropriate way, so they
2 understand their exposure levels and how to reduce their
3 exposures.

4 On behalf of OEHHA, CDPH and DTSC, thank you to
5 the Scientific Guidance Panel and to the staff of
6 Biomonitoring California for your continued service to
7 Californians. We look forward to the next 15 years of the
8 Program and to seeing you at the celebration. Event
9 details are on the March SGP meeting page.

10 Okay. So before I invite the Panel members to
11 introduce themselves, I would like to announce that Amy
12 Padula was appointed by the Speaker of the Assembly,
13 Robert Rivas, as Scientific Guidance Panel member in
14 January. Amy Padula is an Associate Professor in the
15 Department of Obstetrics, Gynecology, and Reproductive
16 Science at the University of California, San Francisco.
17 Her expertise is in epidemiologic studies of environmental
18 exposures, social inequalities, and adverse pregnancy
19 outcomes. Dr. Padula was awarded the Outstanding New
20 Environmental Scientist Award from the National Institute
21 of Environmental Health Science to investigate the impacts
22 of wildfires on preterm birth in California. As part of
23 the National Institute of Health's Environmental
24 influences on Child Health Outcomes, or the ECHO study,
25 she investigated associations between PFASs and other

1 endocrine-disrupting chemicals in combination with social
2 stressors during pregnancy and their effects on adverse
3 birth and child health outcomes. She has also worked with
4 the Silent Spring Institute to report back individual
5 chemical exposures to study participants.

6 Dr. Padula received her PhD in Epidemiology from
7 the University of California, Berkeley, and completed her
8 post-doctoral training at Stanford University. Welcome,
9 Amy.

10 All right. I should also announce that Meg
11 Schwarzman, who is our SGP Chair, will resign as a Panel
12 member to give more attention to her many other
13 commitments after this meeting. She was appointed by the
14 Speaker of the Assembly in 2014 and has been an
15 outstanding member of the SGP for the past 10 years. She
16 has been the Chair of the Panel since 2017. We want to
17 thank Meg for her leadership and guidance and for her
18 service to the people of California. We wish her the very
19 best in her future endeavors.

20 (Applause).

21 DR. DAVE EDWARDS: All right. So I will now
22 invite the Panel members to introduce themselves by name
23 and affiliation.

24 Let's start with José Suárez who is attending
25 remotely.

1 PANEL MEMBER SUÁREZ: Good afternoon. I'm José
2 Suárez, Associate Professor in the Division of Climate and
3 Environmental Health within the Herbert Wertheim School of
4 Public Health at the University of California, San Diego.

5 DR. DAVE EDWARDS: Great. Thanks, José.

6 Carl Cranor.

7 PANEL MEMBER CRANOR: I'm Carl Cranor, a legal
8 philosopher with an appointment in Environmental
9 Toxicology at the University of California, Riverside.

10 DR. DAVE EDWARDS: Oliver Fiehn.

11 PANEL MEMBER FIEHN: Hello. I'm Oliver Fiehn,
12 Professor at the Genome Center at University of
13 California, Davis.

14 DR. DAVE EDWARDS: Ulrike Luderer.

15 PANEL MEMBER LUDERER: Hi. I'm Ulrike Luderer.
16 I'm Professor in the Department of Environmental and
17 Occupational Health at the University of California,
18 Irvine.

19 DR. DAVE EDWARDS: All right. Tom McKone.

20 PANEL MEMBER MCKONE: I'm Thomas McKone, or Tom I
21 go by. I'm Professor Emeritus at the School of Public
22 Health at the University of California, Berkeley and also
23 a retired affiliate at Lawrence Berkeley National
24 Laboratory.

25 DR. DAVE EDWARDS: Amy Padula.

1 PANEL MEMBER PADULA: Hi. I'm Amy Padula. I'm
2 an Associate Professor in the Department of Obstetrics,
3 Gynecology, and Reproductive Sciences.

4 DR. DAVE EDWARDS: Thank you. And Meg
5 Schwarzman.

6 CHAIR SCHWARZMAN: Thanks. I'm Meg Schwarzman,
7 faculty at UC Berkeley, Environmental Health Sciences
8 Division.

9 DR. DAVE EDWARDS: Great. It looks like we have
10 a quorum. So now I will hand this off to Panel Chair Meg
11 Schwarzman who will provide more details about this
12 afternoon's meeting.

13 CHAIR SCHWARZMAN: Thank you, Dave. And it's
14 hard to leave, but we still have today's meeting and I
15 want to start with meeting logistics.

16 So a reminder to Panel members to please comply
17 with Bagley-Keene Open Meeting requirements that all
18 discussions and deliberations of the Panel and the subject
19 matter that we're dealing with today be conducted during
20 the meeting, not on breaks, or with individual members of
21 the Panel either on- or off-line, including via phone,
22 email, chats, or text messages.

23 Panel members attending remotely must visibly
24 appear on camera during the open portion of the meeting.
25 If you're unable to keep your camera on at any point

1 during the meeting because of technological
2 impracticability, please make an announcement when you
3 turn your camera off. And also, if someone older than 18
4 is in the room with any panelists attending remotely, you
5 have to disclose the presence of that person and their
6 general relationship to you. So we'll pause for a moment.
7 I think we only have one remote attendee, and we should --
8 if you could just confirm whether anyone over 18 is in the
9 room with you, José.

10 PANEL MEMBER SUÁREZ: (Shakes head).

11 CHAIR SCHWARZMAN: No one. Thank you very much.

12 Okay. So our Panel goals for today, we're going
13 to first hear an update on Program activities, including
14 the initial results of a project to assess associations
15 between per- and polyfluoroalkyl substances, PFAS, levels
16 in serum in Southern California adults and the
17 associations with drinking water levels.

18 Later this afternoon, we'll also hear from guest
19 speakers on challenges and opportunities for biomonitoring
20 for oil and gas exposures. Two topics for today.

21 There will be time from -- for questions from
22 both the Panel members and audience after each
23 presentation, and then a separate discussion session for
24 each block.

25 If SGP members wish to speak or ask a question,

1 please just raise your hand, if you're in the room, and
2 I'll call on you. If online webinar attendees have
3 questions or comments during the question period after
4 each talk, you can submit them via Q&A feature of the Zoom
5 webinar, or by email to biomonitoring@oehha.ca.gov. We
6 won't be using the chat function. Please keep your
7 comments brief and focused under -- on the items under
8 discussion for today and we'll read allowed relevant
9 comments and paraphrase them, if necessary.

10 Online attendees who wish to speak during the
11 public comment periods or discussion sessions, please use
12 the raise hand feature in Zoom. And Rebecca Belloso will
13 call on you when it's the right time. If you're attending
14 in person and you want to comment during the public
15 comment periods or discussion sessions, please come to the
16 front or raise your hand and we'll call on you. For the
17 benefit of the transcriber, please clearly identify
18 yourself before providing your comment and write your name
19 and affiliation on the sign-in sheet that's at the back of
20 the room to verify that we have your name right.

21 Okay. I think that's all the meeting logistics.
22 And I want to introduce our first speaker, who is Nerissa
23 Wu, Chief of the Exposure Assessment Section in the
24 Environmental Health Investigations Branch, or EHIB, at
25 the California Department of Public Health. The

1 overall -- she's the overall lead for Biomonitoring
2 California and will provide an update on current Program
3 activities.

4 (Thereupon a slide presentation).

5 MCKENNA THOMPSON: One second.

6 DR. NERISSA WU: Thank you so much.

7 Good morning, everyone -- or good afternoon,
8 rather. Good to see you all here. I have 10 minutes for
9 my Program update, because we have a really packed agenda,
10 so I am going to be going through this kind of super
11 speed, but, of course, open to answering questions later
12 on.

13 [SLIDE CHANGE]

14 DR. NERISSA WU: I'll spend some time talking
15 about our different projects, our surveillance projects,
16 as well as our community-focused work. I'll give you some
17 lab updates, as well as updates to our Designated Chemical
18 list, and then a brief report back from the National
19 Biomonitoring Network meeting.

20 [SLIDE CHANGE]

21 DR. NERISSA WU: So starting off with our
22 surveillance work, the CARE Study, the California Regional
23 Exposure Study, which biomonitored participants in south
24 and southeastern California from 2017 to 2019. The data
25 from the CARE study is now being used in analyses looking

1 at the associations between serum PFAS levels and drinking
2 water sources and reported dietary information. And Toki
3 Fillman is going to be talking about this in detail after
4 I speak, so I won't go into anymore detail.

5 We are just initiating analyses of the metal data
6 and potential exposure sources. So any suggestions on
7 associations to investigate are welcome. In addition to
8 information on participant residence and demographics, we
9 also have information on their home characteristics,
10 drinking water habits, diet, occupation, hobbies, smoking,
11 reproductive history and more. In addition to these
12 things, our lab is also working to generate its -- to
13 generate speciated arsenic and phenols data, so that we'll
14 have population data for those panels.

15 [SLIDE CHANGE]

16 DR. NERISSA WU: We have scheduled an open
17 webinar for the CARE study to present study findings
18 publicly and that's on April 18th, and we'll be sending
19 out information on this webinar to our website listserv,
20 to all study participants, and to our general mailing
21 list. So if you don't typically get mail from us and
22 you're interested in this webinar, please reach out to us
23 and we will get the information to you. The report is
24 available in both English and Spanish and it's ready to
25 post on our website in the next few days.

1 [SLIDE CHANGE]

2 DR. NERISSA WU: Also, on surveillance, we have
3 our two biobanked based surveillance projects, MAMAS and
4 STEPS, both of which used prenatal screening samples from
5 the Genetic Disease Screening Program. MAMAS has samples
6 from 2012, 2015, and 2016 from different parts of the
7 State, as shown on the map. And samples from that study
8 were analyzed either for POPs or for PFASs. We did not
9 have any samples for which both analyses were run. So the
10 summary statistics for MAMAS have been posted on the web.
11 MAMAS 2 and 3 are in the queue and will be posted soon.

12 And we've done some analyses of the data and
13 found that, as expected, consistent with national data,
14 the general PFAS levels are going down between 2012 and
15 2016, but there are some exceptions. PFUnDA and PFDA did
16 not really change during this time, so that's a little bit
17 different. And also, for PFBS, the four-chain -- the
18 four-carbon PFAS, it went up slightly in MAMAS 3. It's
19 hard to know what that means. These are in different
20 geographic areas, but it's something to keep an eye on for
21 STEPS.

22 [SLIDE CHANGE]

23 DR. NERISSA WU: And STEPS is the follow-up to
24 MAMAS for which we have representative samples from Orange
25 and Fresno counties from 2015, 2018, and 2021. So we've

1 got a thousand samples for STEPS in the queue at the lab.
2 And we're happy to report that we were successful in
3 developing a protocol with the Genetic Disease Biobank
4 that we're using to save samples from the 2024 pregnancies
5 from Los Angeles County.

6 [SLIDE CHANGE]

7 DR. NERISSA WU: So for Orange and Fresno
8 counties, we selected samples from the pool of eligible
9 participants, because we already had information from the
10 birth record. But because LA County is not part of
11 Biobank, and the samples are discarded after they undergo
12 prenatal screening, we're grabbing them now from the 2024
13 pregnancies. We're oversampling because of this. And
14 then once we have the birth record in one to two years,
15 we'll apply our eligibility criteria. And that will give
16 us a parallel group of samples from Los Angeles, giving us
17 a comparison across three counties. And our plan is to
18 continue sampling in 2024 and 2027, so we have this nice
19 temporal trend across three counties.

20 [SLIDE CHANGE]

21 DR. NERISSA WU: Moving on to our community
22 focused studies and the ACE Project, which focused on the
23 Chinese and Vietnamese communities in San Francisco and
24 San Jose. The analyses of the questionnaire data has been
25 focused on fish consumption and we have some very

1 important results, strong associations between fish
2 consumption and serum PFAS levels. Depending on the types
3 of fish and the fish parts consumed have associations with
4 six different PFASs from 9 to 124 percent, depending again
5 on what kind of fish and the fish parts that are consumed.
6 We have shared results with State and federal partners,
7 and the evidence of this elevated serum level for this
8 community as well as the information on fish consumption
9 has been really compelling. It's generated some very
10 important conversations about fish advisories and how to
11 protect California communities. This will be presented at
12 a future SGP meeting.

13 [SLIDE CHANGE]

14 DR. NERISSA WU: There's a lot of activity also
15 on our community biomonitoring studies in AB 617
16 communities. Results for VOC metabolites were returned to
17 the East Bay Diesel Project participants. In SAPEP, we've
18 presented in our last meeting how we've continued to work
19 to understand the results. We do have a new lab result,
20 as of yesterday, to help us interpret the 1 -- the
21 2-naphthol data. But we just got it yesterday, so we
22 don't really have anything to say about that quite yet.
23 And then FRESSCA and BiomSPHERE, the lab is working on the
24 urine samples and staff is evaluating air monitoring and
25 questionnaire data.

1 [SLIDE CHANGE]

2 DR. NERISSA WU: At the Environmental Health Lab,
3 they have received and aliquoted samples from FRESSCA and
4 BiomSPHERE. They're also measuring specific gravity on
5 all samples so that we can do dilution correction. And as
6 I mentioned earlier, they're busy working on phenols and
7 speciated arsenic analyses for CARE-LA.

8 [SLIDE CHANGE]

9 DR. NERISSA WU: They've also made a lot of
10 progress on the method development. They have an improved
11 PAH panel, which just passed proficiency testing. And
12 we're in our final stage of validation, which for our
13 Program is to run it through the Intra-Program Pilot
14 Study, which is really analyses through results return,
15 which will then enable us to include it on a study.
16 Similar for VOC metabolites, they just passed proficiency
17 testing, which is awesome. And the IPP samples are also
18 being analyzed for VOC metabolites. So both of those
19 panels should be available for studies.

20 [SLIDE CHANGE]

21 DR. NERISSA WU: Over at the Environmental
22 Chemistry Lab, as I mentioned, the staff is working on our
23 STEPS Study, which we keep adding to, so that queue is
24 quite long. For method development, there has been a lot
25 of progress on the cyclosiloxane method for serum. And

1 we'll be going into validation soon. PAHs in serum
2 continues to make progress. And the method to look at
3 total fluorine in consumer products, carpets, rugs, and
4 protective sprays is also going into validation, not a
5 biomonitoring method, but we hope to introduce it into
6 biological materials soon.

7 [SLIDE CHANGE]

8 DR. NERISSA WU: And related to the lab
9 development, we also have updated our Designated and
10 Priority Chemical lists. We modified the group as
11 mentioned earlier today. And in place of PFASs, it is now
12 PFASs and other substances with a carbon-fluorine bond,
13 and the Designated list is also updated to keep us current
14 with the CDC list.

15 [SLIDE CHANGE]

16 DR. NERISSA WU: And just briefly on the National
17 Biomonitoring Network, this is a conference that was held
18 in January. It's an opportunity to meet with other State
19 programs, work with them to talk about things like
20 participant recruitment, questionnaire writing, analytical
21 approaches, et cetera. California presented as part of a
22 workshop on results communication. We were part of a
23 panel on PFASs at which our fish and the drinking water
24 that you're going to hear about were presented. And then
25 we were on a panel on paving the road to a permanent

1 CHAIR SCHWARZMAN: Yes. Thank you. I want to
2 introduce Toki Fillman, a research scientist in
3 Environmental Health Investigations Branch, EHIB, also at
4 CDPH. She'll give a presentation on the initial results
5 of the associations between PFAS levels in drinking water
6 and serum, among Southern California adults.

7 (Thereupon a slide presentation).

8 TOKI FILLMAN: Perfect. Thank you.

9 Good afternoon. My name is Toki Fillman and I'm
10 a Research Scientist with Biomonitoring California. And
11 today, I'm very excited to be able to share with you some
12 of our initial results in a project that I have been a
13 part of, focusing on the associations between PFASs in
14 drinking water and serum among Southern California adults.

15 [SLIDE CHANGE]

16 TOKI FILLMAN: Human exposure to PFASs can occur
17 through several different pathways. So these can include
18 contact with personal care products or consumer products,
19 such as disposable food packaging, cookware, waterproof
20 outdoor gear, or stain or water resistant furniture or
21 carpeting, also through inhalation of dust in the home,
22 ingestion via the diet, and one of the major exposure
23 pathways is also through drinking PFAS-contaminated
24 drinking water, which is the focus of this work.

25 [SLIDE CHANGE]

1 TOKI FILLMAN: Although California does not yet
2 have maximum contaminant levels for drinking water, last
3 year, the EPA did propose national primary drinking water
4 regulation for PFASs, specifically for PFOA and PFOS as
5 individual contaminants and PFNA, PFHxS, PFBS, and GenX
6 chemicals as a chemical mixture. And the EPA is expected
7 to finalize these drinking water regulations very soon.

8 [SLIDE CHANGE]

9 TOKI FILLMAN: Studies from areas with high level
10 contamination due to industrial manufacturing have
11 reported significant contributions of drinking water to
12 overall PFAS exposure. However, few studies have focused
13 on the general population in areas without industrial
14 manufacturing such as in California.

15 [SLIDE CHANGE]

16 TOKI FILLMAN: So the objective of our current
17 study is to estimate the contribution of PFAS detections
18 in drinking water to the concentration of PFASs in serum
19 among a general population of adults in California.

20 [SLIDE CHANGE]

21 TOKI FILLMAN: This is work that came out of one
22 of our biomonitoring studies, the California Regional
23 Exposure, or CARE, Study. So the CARE study was a
24 surveillance study was -- that was carried out between
25 2018 and 2020 in the southern and eastern regions of

1 California. The CARE Study was a cross-sectional study
2 that used a quota-sampling approach, where the quotas
3 applied were based on gender, race/ethnicity, and
4 subgeographic areas in order to best represent specific
5 regions in California.

6 The CARE Study measured 12 PFASs in serum in
7 addition to other contaminants and also asked participants
8 to respond to an exposure questionnaire covering topics
9 such as demographics, reproductive history, diet, home
10 characteristics, occupation, and hobbies.

11 [SLIDE CHANGE]

12 TOKI FILLMAN: The CARE Study was carried out
13 regionally, so samples for CARE-LA were collected in 2018
14 and cover Los Angeles County, and included 430
15 participants. CARE-2 covered seven southern and eastern
16 counties in California. It was carried out in 2019 and
17 included 359 participants. And CARE-3 covered Orange and
18 San Diego counties. It was started in 2020 but had to be
19 stopped early due to the pandemic, and so only included 90
20 participants.

21 [SLIDE CHANGE]

22 TOKI FILLMAN: For levels of PFASs in drinking
23 water, we used data from the California Water Board's PFAS
24 Monitoring Program. So as you can see in this very rough
25 timeline here, between 2019 and 2022, the California Water

1 Board carried out three phases of PFAS monitoring with
2 investigative orders sent to water systems. These
3 investigative orders focused on areas with known or
4 suspected PFAS contamination, such as areas near or
5 surrounding airports, landfills, military facilities, as
6 well as water systems that had previous PFAS detections
7 from EPA's UCMR 3 monitoring, or the Unregulated
8 Contaminant Monitoring Rule 3, which was the 2013 to 2015
9 version of EPA's required monitoring of unregulated
10 contaminants in drinking water.

11 One challenge of working with this data source is
12 that most of the sampling is from source wells as opposed
13 to finished water. However, one benefit is that the
14 statewide required reporting limits are fairly low.
15 They're in the two to four nanogram per liter range, which
16 is about 10 times lower than the MDLs that were used in
17 UCMR 3's monitoring.

18 [SLIDE CHANGE]

19 TOKI FILLMAN: This slide shows the steps taken
20 to match CARE biomonitoring participants to public water
21 systems and thus drinking water data.

22 So first, all three of the CARE studies were
23 combined together for a total of 872 participants. Then
24 participant home addresses were geocoded in ArcGIS.
25 Participants were matched to a single water system using

1 the shapefile provided by the California Water Board, the
2 System Area Boundary Layer shapefile, a map of which you
3 can see on the right here, that shows the water system
4 boundaries throughout the state.

5 Then we limited to participants who were matched
6 to water systems that were monitored during the 2019 to
7 2022 first three phases of investigative order period and
8 then excluded participants who reported that their main
9 source of water is a private well, as well as participants
10 who were missing key variables, for a final data set of
11 563 participants.

12 [SLIDE CHANGE]

13 TOKI FILLMAN: To give you sense of who was in
14 this study population, out of the 563 participants: their
15 mean age was just under 50 years old; they were about 60
16 percent female; 40 percent reported their race/ethnicity
17 as Hispanic; 36 percent white alone; and 60 percent
18 reported having attended some college or trade school; and
19 20 percent reported having a graduate degree.

20 So in other words, compared to the underlying
21 population, they were slightly older, more female, and
22 more educated.

23 [SLIDE CHANGE]

24 TOKI FILLMAN: In the CARE studies there were 12
25 PFASs in serum measured, and in the drinking water data 18

1 water data, we found that 47 percent of the 563
2 participants lived in a water system service area with at
3 least one detection. So in this map, you can see that in
4 the background there are very light gray boundaries that
5 represent water system service areas. And in the
6 foreground, participants living in a water system with at
7 least one detection out of those 11 analytes are shown in
8 orange, and participants who live in a water system
9 service area without detections are shown as yellow dots.

10 [SLIDE CHANGE]

11 TOKI FILLMAN: If we look at the same information
12 by water system instead of by participant, the 563
13 participants were matched to 70 different water systems,
14 60 percent of which had at least one PFAS detection. And
15 for context, I'm adding in the county boundaries as well.
16 So in this map, you can see that water systems with at
17 least one detection are shown in orange and water systems
18 without detections are shown in yellow.

19 [SLIDE CHANGE]

20 TOKI FILLMAN: And if we look at the water
21 systems with at least one detection by analyte, we can see
22 from this table on the left here that PFBS, PFHxS, PFOA,
23 and PFOS were detected the most among these 70 water
24 systems.

25 [SLIDE CHANGE]

1 TOKI FILLMAN: So far we've looked at serum data
2 and water data separately. So in both water and serum,
3 PFHxS, PFOA, and PFOS had the highest detection
4 frequencies. So these three PFASs were included in the
5 final portion of our analysis to look at the association
6 between drinking water and serum data. We also included a
7 sum of the 11 PFAS number, which summarizes the 11
8 analytes that overlap between the two data sources.

9 [SLIDE CHANGE]

10 TOKI FILLMAN: Also, in order to look into the
11 association between drinking water and serum, we needed to
12 assign a drinking water exposure indicator measure for
13 participants. So on this slide here, you can see a very
14 simplified version of a water supply distribution system,
15 where we have water from three groundwater wells flowing
16 to a treatment plant before it's flowed -- flows to the
17 distribution system and distributed to households.

18 So as a reminder, the California Water Board's
19 PFAS monitoring is primarily from source wells for those
20 first three rounds of investigative orders as opposed to
21 finished water. And even among source wells, as you can
22 see displayed here, not all wells in a water system were
23 always tested. So when we started out this project, we
24 had hoped to be able to take the level of PFASs measured
25 in the source wells and then estimate or calculate the

1 final PFAS concentrations that are delivered to
2 households.

3 [SLIDE CHANGE]

4 TOKI FILLMAN: However, actual water supply
5 distribution systems are very complex and some may be even
6 more complex than the complex diagram you see here. And
7 so there are many challenges that make estimating PFAS
8 levels in finished water difficult. So for one, again,
9 the sampling is primarily from raw sources and not
10 finished water. We also do not have sufficient
11 information on water blending, mixing, or volume data, and
12 the data collected is not consistent between water
13 systems. Therefore, after working with our Water Board
14 colleagues and looking into the available data, we
15 concluded that we could not accurately estimate PFAS
16 concentrations in finished water.

17 [SLIDE CHANGE]

18 TOKI FILLMAN: So given these challenges and the
19 data we do have, we decided that the best we could do is
20 to assign crude categories, which were based off of PFAS
21 detections using statewide required reporting limits. So
22 water systems were categorized into a binary category into
23 those with no PFAS detections and those with at least one
24 PFAS detection. And we did this categorization
25 individually for PFHxS, PFOA, PFOS, as well as the sum of

1 the 11 PFAS.

2 [SLIDE CHANGE]

3 TOKI FILLMAN: For our statistical analyses, we
4 log-transformed the serum concentrations and we assessed
5 the associations between each of the binary PFAS detection
6 categories and serum PFASs using multi-variable linear
7 regression where the covariates included were age, sex,
8 parity, race/ethnicity, education, income and nativity.

9 [SLIDE CHANGE]

10 TOKI FILLMAN: Now, getting into some of our
11 results looking into the association between drinking
12 water and serum. This figure here shows the adjusted
13 percent change in serum PFASs when we compare participants
14 who live in a water system with at least one detection to
15 participants living in a water system without detections.
16 So if we start by just looking at the results for PFHxS,
17 we can see from this figure that participants living in a
18 water system with at least 1 PFHxS detection had 32
19 percent higher serum levels compared to participants who
20 were matched to water systems that did not have PFHxS
21 detections.

22 [SLIDE CHANGE]

23 TOKI FILLMAN: And if we also take a look at the
24 results for PFOA, PFOS, and the sum of the 11 PFAS, we can
25 see here that we did not see significant differences in

1 participant serum levels when we compare participants who
2 live in water systems with detections to participants who
3 live in water systems without detections for these other
4 analytes.

5 We are also currently working on different ways
6 to analyze the data, but we are still in the process of
7 evaluating those results.

8 [SLIDE CHANGE]

9 TOKI FILLMAN: In summary, what this means is
10 that in this general population of adults in Southern
11 California, PFHxS contamination in drinking water may be a
12 significant contributor to serum levels, even in a
13 community without high level of contamination due to
14 industrial manufacturing. And in general, this is
15 consistent with literature published so far on drinking
16 water contributions to PFAS.

17 [SLIDE CHANGE]

18 TOKI FILLMAN: The results of this study as well
19 as other similar studies will be helpful in the
20 development of health protective drinking water levels,
21 and are also particularly relevant given that the EPA is
22 expected to finalize their national contaminant levels --
23 I'm sorry, maximum contaminant levels very soon.

24 Addressing PFAS in drinking water can be
25 expensive and can be resource intensive, so these results

1 as well as other similar study results will help support
2 enforcement of these MCLs.

3 [SLIDE CHANGE]

4 TOKI FILLMAN: Finally, I would like to
5 acknowledge that this work was only possible because of
6 strong collaborations between Biomonitoring California and
7 the California Water Boards. Drinking water data can be
8 very challenging to interpret, so our colleagues Scott
9 Coffin and Brandon Ta were instrumental in helping us work
10 through this data. I would like to also acknowledge
11 Nerissa Wu and especially Kathleen Attfield for their
12 supervision and guidance, as well as the CARE
13 participants, CARE study team, the California Water Board
14 SABL team, OEHHA, and DTSC.

15 [SLIDE CHANGE]

16 TOKI FILLMAN: And that's all I have. Thank you.

17 CHAIR SCHWARZMAN: Thank you, Toki. And we'll do
18 questions for all three of these first speakers together,
19 once we hear from our final speaker.

20 I want to introduce Wendy Linck, Senior
21 environment -- Engineering Geologist in the Division of
22 Water Quality at the State Water Resources Control Board,
23 also called the State Water Board. She's managing the
24 State Water Board's response to the PFAS effort in the
25 Division of Water Quality.

1 Wendy graduated with a Bachelor of Science Degree
2 in Geology from Sacramento State University. She's a
3 Registered Professional Geologist in the State of
4 California and certified as a Project Manager Professional
5 by the Project Management Institute. Today, she'll give
6 an update of the California Water Board's PFAS testing of
7 drinking water and other potential sources.

8 (Thereupon a slide presentation).

9 WENDY LINCK: Well, good afternoon. I hope
10 everybody can hear me and see me. I'm actually zooming
11 here in Sacramento and I appreciate your time and
12 appreciate you inviting me. I'm going to follow up with a
13 little bit more information.

14 Toki gave a great summary of kind of what's going
15 on in regards to what the PFAS testing results are going
16 on along with the -- at the State Water Board. And so the
17 State Water Board, both the Division of Drink Water, and I
18 sit within the Division of Water Quality, we have been
19 coordinating efforts in regards to understanding where the
20 presence or absence of per- and polyfluoroalkyl substances
21 are in the state statewide since about 2018. And we've
22 been -- there's been significant effort in understanding
23 the occurrences of both in drinking water, but also at
24 those industrial source areas that Toki was talking about.

25 And so I just want to take a quick moment to

1 acknowledge Dan Newton, he's the Assistant Deputy Director
2 at the Division of Drinking Water. He's been instrumental
3 as a leader in this effort and he'll have his contact
4 informations at the end of the slide show. This
5 presentation is going to provide a perspective on the
6 number of per- and polyfluoroalkyl substances that we can
7 evaluate using current analytical testing methods in
8 comparison to the known lists of PFAS. But I'm also going
9 to summarize some of the statewide investigative efforts
10 so far. I'm going to show you where all that data, at
11 least on a slide that Toki pulled from in some cases, and
12 describe some very exciting efforts that we're going to
13 start very soon in regards to understanding not just those
14 PFAS that we can see and targeted methods, but hopefully
15 maybe the entire class of PFAS that we can see in the
16 drinking water supply statewide.

17 [SLIDE CHANGE]

18 WENDY LINCK: So we just want -- we have this
19 slide. We wanted to really just ground ourselves in
20 regards to -- in our -- and think all of us understand
21 that PFAS is a very large class of compounds. There are
22 thousands of them being used in commerce and industrial
23 applications. And currently, EPA's master list is around
24 14,000 chemicals or structures.

25 At those numbers, it's going to be very difficult

1 for us to identify all PFAS individually. Currently,
2 analytical toolbox includes targeted analytical testing
3 methods and not-targeted analysis. Using targeted testing
4 methods, the number of analytes that can be qualify -- can
5 quantified against known PFAS compounds standards are
6 about 40. There are some labs out there that are now
7 breaking into about 70 PFAS. But in the drinking water
8 realm, there are, by using EPA methods, 533, that's only
9 25 analytes. In the water quality side, we've been
10 utilizing in the brand new method that's available out
11 there is 1633, that gives you 40.

12 And so we really need to understand more than
13 that. The latest research using non-targeted analysis is
14 expanding our ability to identify those using their
15 structural identity. So our statewide investigative
16 efforts are focused on using targeted testing methods to
17 understand the presence or absence of PFAS that are known
18 and most known in most studies. But we're now moving in a
19 very exciting direction to get an understanding of the
20 rest of the PFAS that may be known using non-targeted
21 analysis in combination with targeted testing. So in
22 order to get that ability, we've been coordinating with
23 the U.S. EPA Office of Research and Development over the
24 past year.

25 [SLIDE CHANGE]

1 WENDY LINCK: This -- we're going to talk
2 about -- little bit about the data that we've found both
3 in the drinking water side and the industrial source side
4 and the water quality side. And so, our approach was to
5 start issuing statewide investigative orders to gather
6 information on the occurrence of PFAS in California's
7 drinking water sources and at the those suspected
8 industrial source sites.

9 We identified those industries where we knew
10 that -- where the highest impact would be and could be
11 found in drinking water and in groundwater. So as such,
12 the investigative orders were issued to airports, chrome
13 plating facilities, bulk field terminals, and refineries.

14 We also issued orders to those secondary
15 receivers of PFAS-containing wastes, and that includes
16 municipal waste landfills and wastewater treatment plants.
17 The Water Boards are focusing on determining the extent of
18 those impacts by sources. So this map shows the locations
19 of all those orders that have been issued.

20 In coordination with the issuance of those
21 investigative orders to the industrial source sites,
22 Division of Drinking Water asked public systems -- public
23 water systems to sample their wells, their source wells,
24 located adjacent to those sites and in the vicinity of the
25 military.

1 Most recently and excitingly about a week ago,
2 the Division of Drinking Water issued a new order to
3 public water systems that serve disadvantaged communities
4 statewide. This 2024 order has a specific purpose to
5 understand the class of PFAS in the water supply. This
6 sampling will be performed at no cost to the water system.
7 It is being funded by the State and I'll provide a little
8 bit more details coming up.

9 [SLIDE CHANGE]

10 WENDY LINCK: So the GeoTracker PFAS Map is a
11 really important tool for us to provide public
12 transparency. It was borne from the need and the
13 importance to be transparent with all this data and it's
14 used to view data trends, and locations, and provides
15 geospatial relationships. It is one of -- very unique
16 map. It includes all the water quality data as well as
17 the data from the Division of Drinking Water as well.

18 Between the divisions of Drinking Water and Water
19 Quality, we have over 10,000 samples collected to date in
20 this system. And with the most recent order that was
21 issued by the Division of Drinking Water, we have over
22 3,000 investigative orders that have been issued.

23 [SLIDE CHANGE]

24 WENDY LINCK: This graph illustrates the
25 occurrence of PFAS in a variety of source locations based

1 on a range of concentrations and percent detections.
2 Percent detection is on the Y axis, the industrial source
3 investigations, and the public water system sampling are
4 along the X axis. Data includes groundwater along with
5 wastewater treatment plant effluent.

6 The broadest range and highest concentrations of
7 PFAS detected is found at airports, terminals, refineries,
8 and that is because and that due to the presence of what
9 is called an aqueous film-forming foam, or AFFF. It is
10 used in fire training exercises and emergency response
11 actions.

12 Next, are the chrome platers and their universal
13 use of what they have is a PFAS-containing mist
14 suppressant that is used during chrome plating operations.
15 However, it's not used in nearly the volume -- the amount
16 that AFFF, the aqueous film-forming form, is used.

17 The other sites, the landfills, wastewater
18 treatment plants effluent, and groundwater have very
19 similar characteristics being that they are secondary
20 receivers of PFAS. Public water system wells that are on
21 the far right and have concentrations with percent detects
22 like those of the industrial source sites like the
23 landfills. The locations of these wells was intended to
24 be in the vicinity of those source investigation sites.

25 [SLIDE CHANGE]

1 WENDY LINCK: So this will be the last graph I'm
2 going to show. And this graph represents what we
3 collectively did in February, as we downloaded all the
4 data -- all the data from the PFAS mapping tool and
5 calculated the median concentrations for the PFAS that are
6 listed along the X axis. They represent groundwater
7 samples as well as from those source drinking water supply
8 wells. The drinking water supply wells is the blue line,
9 the airports, the bulk fuel terminals and refineries are
10 in the dark orange lines, landfills and chrome platers,
11 and at the wastewater treatment plants are kind of in that
12 lighter coral. And N indicates the number of samples of
13 each of the sites.

14 So the X axis shows the PFAS analytes. The Y is
15 the log scale meaning concentrations in nanograms per
16 liter. And what you want to see in the first couple of
17 things that first come out in regards to this is that you
18 have definitely a separation between the median
19 concentrations that are at the airport and bulk fuel
20 terminal refineries from everybody else. That is, once
21 again, because the use of the AFFF, the aqueous
22 film-forming foam, is used -- concentrated at the surface
23 and is impacting groundwater. We have some locations at
24 those efforts that have much higher concentrations that
25 are shown by these medians.

1 And below that, you have the rest, the wastewater
2 treatment plants, and the chrome platers, and the landfill
3 and their ground water. The other thing that you can
4 clearly notice is that whatever analyte that we say, based
5 upon targeted results, we get the same shape. We see the
6 same line. We see the same occurrence. So it doesn't
7 matter where you are at a public water system, or you're
8 at an airport, or you're at whatever, we pretty much see
9 the same analytes based upon the targeted list.

10 If you were to compare that to where the proposed
11 number for PFOA and PFOS that's at awe 4 nanograms per
12 liter, that kind of gives you an idea in regards to
13 semi-quantitative magnitude in relation to the public
14 water system wells. Obviously, there are areas in the
15 public water system, both at the source areas and at the
16 industrial sites that are much higher than this. But
17 overall, it kind of gives you an idea of what we're seeing
18 in -- yeah, out there in the water quality and the
19 water -- in the source wells.

20 [SLIDE CHANGE]

21 WENDY LINCK: So this is a map. This is
22 resultant data from the sampling of the public drinking
23 water supply wells for PFAS. It represents data that is
24 as of the fourth quarter 2023. And this is where -- this
25 is resultant data for the public water system wells at the

1 source. And these show three different levels. They are
2 called advisory levels, Division of Drinking Water issues
3 them in order to help the water system to have to deal
4 with what result that they might get in regards to testing
5 those wells as a result of those orders that were issued
6 to them.

7 So you have whether there is an exceedance,
8 that's in green. Yellow, if it exceeds a notification
9 level, which means that they have to notify their
10 governing board and body that they have an exceedance
11 above a certain level, and the response level. And the
12 response level means that public water system has to
13 either, one, remove that well offline, two, either treat
14 maybe through blending to reduce those concentrations, or
15 three, provide a public notification to all their
16 customers.

17 And there are currently four notification and
18 response levels issued by the Division of Drinking Water.
19 There are PFOA, PFOS, PFHxS, and Gen -- and PFBS. And
20 PFBS we don't see in high -- very high concentrations in
21 the state of California or let alone in the drinking
22 water. And so that red square means that there is an
23 exceedance of one of either one of those three PFOA,
24 PFHxS, or PFOS in the state of California.

25 [SLIDE CHANGE]

1 WENDY LINCK: So in AB 178 the Division of
2 Drinking Water, using those funds, are now tasked to: one,
3 develop a broad spectrum test method; two, monitor public
4 water supply wells serving disadvantage communities,
5 within the state - there's approximately 4,000 of those;
6 and three, develop a treatment-based regulation for PFAS
7 as a class.

8 Task number one is nearly complete. We have our
9 half, and have selected AOF as our broad spectrum test
10 method that we're going to move forward on. Task two has
11 been -- has begun by the issuance of that 2024 order. And
12 sampling is planned to start in the spring.

13 We've issued a contract to a commercial
14 laboratory to do the analytical testing. Sacramento State
15 University will provide technical assistance for sampling
16 services and outreach materials of the public water
17 systems being sampled. The locations of these wells to be
18 tested across the state are shown on the map to the left.
19 Data from this effort will provide incredible information
20 on the estimate of the total mass PFAS, as best as it can
21 be estimated, but also the PFAS that are not on the
22 targeted analytical tests, those unknowns.

23 We anticipate that results from the sampling will
24 likely indicate similar mixtures of PFAS in several
25 geographic areas and regions, and likely list the PFASs

1 that are common or are not common in those regions. Based
2 on analytical testing results and any exceedances to
3 drinking water advisory levels, financial assistance will
4 be available for public water systems to determine the
5 next steps for treatment. This project is projected to
6 take approximately five years to complete and the well
7 sampling will be completed by the end of 2026 and
8 hopefully my voice is going to last. Okay.

9 [SLIDE CHANGE]

10 WENDY LINCK: So thank you for your time. And if
11 you've got any more questions, I'm more than happy to be
12 here to help out.

13 Thank you.

14 CHAIR SCHWARZMAN: Thanks so much for that.

15 What we're going to do now is have 10 minutes
16 where we can do sort of follow-up questions from all three
17 presentations that just came before and then we'll also
18 have a public comment period in there and then we have
19 sort of a less structured discussion time. So the --
20 initially these questions should be sort of clarification
21 questions for the speakers and then we'll have a larger
22 discussion. So questions from the panelists.

23 Yes, Tom.

24 PANEL MEMBER MCKONE: There we go. My question
25 is from the first presentation, Nerissa, on the ACE Study.

1 So I was curious if there's any parallel or complementary
2 effort to actually look at the food types that people were
3 eating, right? I mean, you were looking at Asian
4 community and seafood as a strong seafood diet, but was
5 there any specific sampling of the food they were eating?

6 DR. NERISSA WU: We did not have complementary
7 fish sampling to go with the study, but we are -- and
8 Kelly Chen is here who can talk a little bit more about
9 this. We are doing a lot of comparison to what fish data
10 does exist for PFASs to go back and try to do a similar
11 analyses that you've just heard about for drinking
12 water. One of the things we're finding is that there just
13 is not a lot of fish data out there. PFAS are very hard
14 to -- it's obviously very expensive to do a PFAS
15 measurement. And particularly for whole fish measurement,
16 there is some data for filet. There's less data for other
17 parts or whole parts of the fish. So one of the things
18 that the work has highlighted is the need to do more
19 sampling.

20 PANEL MEMBER MCKONE: Can I -- while I'm here,
21 can I ask another question for Toki?

22 So on the -- on the drinking water study, I
23 really agree with your approach in having -- we tried this
24 thing -- you know, blending. And figured that water is
25 too complicated to blend, but there's another issue that

1 confounds this, and that is knowing how much water people
2 actually drink from their tap. And to begin with, we
3 actually -- you know, it's 2 liters, but -- on average
4 that -- of fluid that people consume, but it's all over
5 the map even there. But then when you get that down to
6 much of that comes out of the tap. And I was just
7 wondering if there's anyway to sort of further consider
8 the types of people who would be drinking more bottled
9 water, who wouldn't be using water as much to boil food.
10 There's a number of things that might actually narrow some
11 of the variability on that question.

12 TOKI FILLMAN: Yes. So unfortunately for the
13 CARE Studies, we don't have information on the amount of
14 water that people drink, for example, in a day. But the
15 CARE exposure questionnaire does have a question about
16 whether participants get most of their water from tap
17 water versus bottled water and we have started to look
18 into some of those results. And so about 40 percent of
19 our CARE participants do report mainly getting their water
20 from bottled water. So one of -- one of the ways we're
21 starting to look at the data, but we're still in the
22 process of analyzing is taking the main analysis results
23 that I showed for -- to you today, but then stratifying
24 the analysis by participants who report that they get
25 their water from tap water and those who do not report

1 getting -- mainly getting their water from tap.

2 And when we -- when we stratify these results,
3 just to give you a little sneak peek, we do see stronger
4 associations for PFHxS among participants who get --
5 report getting their water from tap water as opposed to
6 bottle water, providing some suggestive evidence that this
7 association is from tap water.

8 CHAIR SCHWARZMAN: Yes, Carl.

9 PANEL MEMBER CRANOR: Kind of follow-up to Tom's
10 question. He asked about food as a source and you're
11 studying water as a source. Are those -- is water the
12 easiest one to study? How about air tox -- air exposures?
13 That might be a very difficult, but I'm just -- to get the
14 big -- the big exposure picture out here, I'm wondering
15 about other sources.

16 TOKI FILLMAN: Yes, that's a great question. I'm
17 not sure if water is the easiest, because water is complex
18 in its own ways and so is diet. For this particular
19 study, we really focused on water and we didn't include
20 diet, but we do -- we have been working with collaborators
21 over at Boston University who are using these CARE Study
22 participants as well by looking at contributions of both
23 diet and drinking water on serum levels.

24 And for their study, they're using UCMR 3 data
25 instead of the California Water Board's drinking water

1 data, but then also diet from the CARE exposure
2 questionnaire. And they have found that there are very
3 small effects or no effects from diet on serum when
4 they -- in the data that they looked at. So in relation
5 to the analytes that I focused on here, they have found
6 that no associations between diet and serum for PFOA and
7 PFHxS, and then small effects for PFOS.

8 PANEL MEMBER CRANOR: Any evidence on air, that's
9 really hard?

10 TOKI FILLMAN: We unfortunately don't have data
11 on air, so --

12 DR. NERISSA WU: I'll add something to that. We
13 do have the addresses where CARE participants lived at the
14 time of the study, so we haven't done this yet, but we
15 could look at proximity to sources, if they are -- if we
16 have a large enough in to see if there's any association
17 between, you know, suspect sources and the participant
18 levels.

19 PANEL MEMBER LUDERER: This is a related
20 question. I think you might have already answered this,
21 but I was wondering whether you had a chance to look at
22 the CARE participants, you know, to try to look at both
23 the dietary, the fish consumption, and the water exposure
24 together, you know, to analyze that in the same analysis
25 and see which one was more predictive.

1 TOKI FILLMAN: Right. So that's actually the
2 analysis that our collaborators over at Boston University
3 have carried out. So they've included both diet and
4 drinking water in the same analysis and have found little
5 to no relationships for diet, but they have found drinking
6 water relations between drinking water and serum.

7 PANEL MEMBER LUDERER: And are you planning on
8 doing that for the CARE Study, hopefully?

9 TOKI FILLMAN: Great question. We weren't -- we
10 aren't necessarily planning on doing it, especially
11 because the effects for diet were so much smaller than
12 expected.

13 DR. NERISSA WU: And the Boston University is
14 with the CARE participants also.

15 PANEL MEMBER LUDERER: Oh, it is.

16 DR. NERISSA WU: Yes.

17 PANEL MEMBER LUDERER: Okay. All right.

18 DR. NERISSA WU: Yes. Sorry, the CARE
19 participants are the subject -- are part of that analysis.
20 The Boston University -- the difference is that they're
21 using the UCMR 3 data as opposed to the Water Board data.

22 CHAIR SCHWARZMAN: Any other clarifying questions
23 for our speakers?

24 DR. NERISSA WU: Could I just add a clarif --

25 CHAIR SCHWARZMAN: Please.

1 DR. NERISSA WU: -- Correction rather. When I
2 talked about MAMAS, I referred PFBS as the -- as the
3 analyte that going up, but it's actually PFBA.

4 CHAIR SCHWARZMAN: I think the slides were right.
5 Yeah, the slides were right. Great.

6 Yes. Question in the back or from the web.

7 REBECCA BELLOSO: Yes. We have a question from
8 an anonymous attendee for Toki. It says, "I'm not
9 familiar with municipal water systems. How different are
10 adjacent water systems in the areas you looked at? Do
11 they get water from completely different sources or do
12 they just go through different treatment plants?"

13 TOKI FILLMAN: That's a great question. And it's
14 possible that Wendy may have some ways to contribute to
15 answering this question, but I can say that the water
16 systems included in the CARE Study that I showed today are
17 primarily large water systems that serve at least 10,000
18 people, because of the fact that CARE participants are --
19 tend to be in more urban areas than rural areas and water
20 systems can also purchase their water from adjacent
21 systems and sometimes share treatment plants as well, but
22 I wonder if Wendy has anything to contribute to this
23 answer.

24 WENDY LINCK: That was a perfect answer, Toki.
25 You got it. It's all of the above. That's why it becomes

1 so complicated with the water systems in the state of
2 California and the flow of water. And it can change with
3 which wells they can turn on and turn off, and based upon
4 time of the year, so -- and I just wanted to add just one
5 thing, there could be a potential -- a potential idea to
6 use in the future maybe, Toki and other. The UCMR 5 data
7 is all data that's being collected at the distribution
8 point, and that includes 29 PFAS. And that data is
9 being -- is being collected as we speak and already
10 starting to be published. So there could be an
11 opportunity to maybe update your assessment in the future.

12 TOKI FILLMAN: Thank you, Wendy. Yes, we are
13 interested in taking a look at this data as well.

14 DR. JENNIFER MANN: I think that may have just
15 answered my question, which was about finished water. And
16 I realize there might be challenges in measuring that.
17 But it would be really interesting to look at finished
18 water near some of these sources just to know maybe how
19 well these PFOS are removed.

20 CHAIR SCHWARZMAN: Can you just identify yourself
21 for the transcriber, please.

22 DR. JENNIFER MANN: Oh, Jennifer Mann.

23 TOKI FILLMAN: Thank you, Jennifer, for this
24 comment. I think that's a great idea, and, yes, something
25 that we're interested in is being able to compare the

1 finished water to the data we're looking at that's
2 primarily from source wells, especially as the UCMR 5 data
3 is coming out.

4 DR. JENNIFER MANN: And from the Water Board's
5 perspective --

6 CHAIR SCHWARZMAN: Jennifer, I'm so sorry. Can
7 you use the microphone for the transcriber?

8 DR. JENNIFER MANN: Sorry. I keep messing up.
9 So my question was more for Wendy on what challenges may
10 exist in being able to analyze that -- those source -- the
11 finished water. Yeah.

12 WENDY LINCK: So we're going to sample water at
13 the wells. That's going to be first. So we're going to
14 sample all those wells over the next two years. But that
15 third objective that we are -- will undertake is more
16 understanding the treatment side what does -- and the
17 different available treatment technologies that are
18 available in the state of California and how they
19 remove -- what is the removal of PFAS not just for the
20 targeted analytes but for the either the total amount or a
21 proxy of the total amount, and those non-targeted
22 analytes. So we will know what's passing through, which I
23 think will be an important thing in regards to
24 understanding any health impact. That doesn't mean that
25 an entire -- all of those analytes are a problem, but we

1 just want to know what they are. So hopefully, I answered
2 the question, so we're focused still at the source wells.

3 CHAIR SCHWARZMAN: Rebecca, was there another web
4 question?

5 Great. José. Thanks.

6 PANEL MEMBER SUÁREZ: Great. Thank you. This
7 question is for Wendy. Perhaps, you could share slide
8 number 8 one more time. I just want to get a
9 clarification question here. This is about the
10 differences between the organofluorine -- the total
11 organofluorine content versus the targeted analyses for
12 the PFAS. Perfect.

13 There. So a couple of things, right? So this is
14 pretty troubling if the -- if what you're saying there is
15 up to 70 percent of reported sums of the targeted PFAS
16 were not accounted for from the total PFAS concentrations
17 there. For my clarification here, so the different colors
18 there, the green, the yellow, the orange --

19 WENDY LINK: Um-hmm.

20 PANEL MEMBER SUÁREZ: -- those are targeted
21 analyses and those are total sums from different
22 measurements, is that what it is?

23 WENDY LINCK: Yeah. Those are total. So we use
24 533, that's actually in orange. So we summed them all up.
25 Essentially, you can convert them into organofluorine,

1 nanograms of fluorine per liter. You add them all up.
2 And so 533 is orange. Yellow is 537.1. We did another --
3 a different analysis, the total are oxidizable precursor.
4 That's this TOP assay. That's in green. And then
5 actually in gray is a different kind of method that's
6 performed by the Department of Defense through the Quality
7 Systems Manual. But the drinking water methods are the
8 ones that are orange and yellow.

9 PANEL MEMBER SUÁREZ: Okay. Thank you for that.
10 I mean, it's pretty shocking. It looks like we are not
11 really capturing everything that we should be capturing.

12 WENDY LINCK: That's correct.

13 PANEL MEMBER SUÁREZ: Any thoughts about this?
14 Is there something big that we're missing that you can
15 think of?

16 WENDY LINCK: Yep. Yep. And our method, because
17 we did a method comparison study just a few months ago.
18 We went back to the same nine wells that we did here and
19 we performed non-targeted analysis and did some selective
20 analyses for ultra-shorts. Ultra-shorts are the C2s and
21 C3s. They're a small -- much smaller molecule -- analyte.
22 And so we're finding out that we're seeing quite a bit of
23 those ultra-shorts in our -- in drinking water, so -- and
24 the -- yeah. So there's more organofluorine in the
25 drinking water and most likely in groundwater. They're

1 just not on the targeted analyte list.

2 PANEL MEMBER SUÁREZ: And for those, do you have
3 an idea of what mostly they're used by industry?

4 WENDY LINCK: Well, it depends on what you're
5 talking about. There's a lot of -- in the PFAS world, you
6 talk about precursors. And I don't know if folks are
7 familiar with that terminology, and there are the newer
8 formulations that are out there. Those ones that are on
9 the targeted list are those sulfonates and carboxylates
10 that are -- actually are terminal end products, where
11 these other analytes can transform into. And so those are
12 the ones that are on those targeted lists. But there are
13 a lot of other newer formulations of PFASs that are being
14 used at industrial sites. And one of them is at -- use
15 the aqueous film-forming foam. And so they are the four
16 telomers. And those would be picked up in the blue bar
17 that are not being represented currently in the other
18 bars. So that's a -- that's a gap. There's a gap there.

19 PANEL MEMBER SUÁREZ: Yeah, I mean, this is --
20 this is very provocative in some ways, right? It's only
21 nine --

22 WENDY LINCK: Um-hmm.

23 PANEL MEMBER SUÁREZ: -- drinking water supply
24 wells sampled. Nonetheless, it still provides a lot of
25 insight into this. Any plans on expanding this?

1 WENDY LINCK: Yeah. So this is that whole
2 exciting study that we'll start this spring. Those 4,000
3 wells across the state. We're going to be analyzing, like
4 getting that blue bar again. We're going to have the
5 total for the 533, the blue bar, but we're also going to
6 do non-targeted analysis, which means we will know -- we
7 will know what those compounds are that's making up that
8 blue bar. We won't know the concentrations, but we're
9 going to know what they are. And I think that's the first
10 step of really understanding what's in our drinking water
11 supply and what's in our groundwater, and then we can move
12 forward, right? We can move forward and figure out what
13 the health impacts are for those -- for those analytes.

14 PANEL MEMBER SUÁREZ: Thank you.

15 WENDY LINCK: You're welcome.

16 DR. NERISSA WU: Stephanie, did you want me to
17 wait before my comment?

18 Okay. The data is obviously very compelling to
19 us as well. We're very interested to know how our
20 biological samples would compare if we did similar
21 analyses. So for STEPS, we are in conversations to
22 identify additional methods that we could apply to the
23 STEPS samples to magnify our understanding of not just
24 PFASs or the expanded list that we can measure, but that
25 non-targeted -- the ultra-short chains and try to figure

1 out what's happening, you know, what's the exposure for
2 all these unidentified PFASs.

3 CHAIR SCHWARZMAN: Let me take a moment to call
4 for public comment, which we need to do in this interval.
5 Rebecca for -- so first of all, if there is anybody in the
6 room who would like to make a public comment at this time
7 or if there's anything that's online, and then we'll
8 continue the discussion.

9 So have an in-the-room comment.

10 NANCY BUERMEYER: Hey, everybody. Nancy
11 Buermeyer, Breast Cancer Prevention Partners. And I just
12 want to say thank you to the pro -- to the Biomonitoring
13 Program for this data and to the State Water Board. This
14 is exactly the evidence we need as advocates to do our
15 work. The State has acted to ban PFAS in firefighting
16 foams, in food packaging, in textiles, and a couple of
17 other juvenile products. And there's a bill this year
18 that would ban all but essential uses of PFAS. There have
19 been studies that have shown over 200 different use
20 categories for these chemicals.

21 And this legislation that's pending, and it's
22 authored by Senator Skinner, who represents this part of
23 the world and it's sponsored by NRDC, Environmental
24 Working Group, Clean Water Action, our -- BCPP, my
25 organization, and the California Association of Sanitation

1 Agencies, CASA. Those are the people who have to treat
2 the water. And they're all about getting it out before it
3 gets into the water, which is why they are actively
4 working on this legislation. But that blue bar that you
5 talked about is exactly the reason advocates have asked
6 that this method be developed, because we know there are
7 so many different types of PFAS out there. It has to be
8 regulated as a class and we have to be able to look at
9 total organic fluorine so we know where we are in our
10 efforts to try to clean up both the water and ultimately
11 the contamination of the rest of the environment and
12 ourselves. So this data is super helpful, super useful,
13 and we will use it to try to pass this legislation SB 903
14 this year.

15 CHAIR SCHWARZMAN: Rebecca, is there anything
16 online that we should tend to?

17 REBECCA BELLOSO: No.

18 CHAIR SCHWARZMAN: No. Okay. Then we can resume
19 our discussion. I think Tom had something.

20 PANEL MEMBER MCKONE: Yes. Thanks. This is in
21 the realm of a discussion point and something, you know,
22 that I think our Committee has to think about in terms of
23 where we're going. Is there any sense of the time trend
24 on total PFAS? Is it going up rapidly? Is it going up
25 slowly? Is it stable? Is it dropping? I mean, are we

1 getting a sense of that or is there a way -- and again, I
2 think it relates to our Committee, because when we pick a
3 chemical class, we're doing it because usually it's on the
4 rise and we're doing it to see when it quits rising
5 hopefully, especially with new legislation.

6 So if there's an opportunity to not only look at
7 like what we're seeing now, but a time trend, I think that
8 would be very useful, particularly if the time trend is
9 steep going up. And then the question is when is it going
10 to peak and how do we -- how do we keep it -- how do we
11 get it to slope and turn around as soon as possible.

12 DR. NERISSA WU: Well, the hope is in two to
13 three years, we'll have STEPS data which provides temporal
14 trend for the 42 that we're measuring with the existing --
15 with the existing method, but that's why we have set up
16 the study in this way, so that -- and we have this -- and
17 my previous comment about trying to get this overall mass
18 balance of fluorine as well, because one thing we can
19 understand from the targeted method is maybe we'll see
20 these downward trends. We don't know what else is
21 happening, whether there are changes in formulation,
22 whether these other PFASs that are going up. So getting
23 this full mass balance would really help us understand
24 that.

25 CHAIR SCHWARZMAN: Yeah, just to add onto that, I

1 was -- there's -- like often we're seeing evidence, and I
2 think this was in part of what Nerissa presented of
3 generally over time PFAS levels declining, but I think
4 that's -- like, we have to keep in mind that's the PFAS we
5 know to measure, right? And so this -- the gap
6 represented by the blue bar may really represent chemicals
7 that are increasing steeply over time. So I think this
8 data will be really interesting and it's an important
9 point to keep in mind.

10 CHAIR SCHWARZMAN: Carl.

11 PANEL MEMBER CRANOR: I apologize for the
12 question I'm about to ask, but may I see -- may we see
13 just for a moment Toki Fillman's second slide. It's the
14 exposure slide. Pathways.

15 Yeah, that one. I think that when I saw that, I
16 was taken by what the dramatic picture it paints. Today,
17 we're discussing various ways of trying to identify and
18 clean up things that are potentially harmful to human
19 beings. What I would like to just go on the record about
20 is that something didn't happen before that factory threw
21 all those things into the environment. They didn't
22 understand their products. They didn't try. And there
23 are legal incentives not to understand their products.

24 And so we're trying to identify messes and
25 cleaning them up when we could have done something vastly

1 more preventive in advance. And we're not doing that --
2 this group I think will surely be sensitive to it, but we
3 have to recognize the social and legal shortcomings that
4 put us in this position. That's all I have to say.

5 And I apologize, it's slightly out of the game
6 here, but we can't let this slide go unnoticed.

7 PANEL MEMBER LUDERER: I just have a more
8 technical question to get back to it. Although, I
9 wholeheartedly agree. And that is you were talking about
10 the STEPS study, you know, and how that's going to be able
11 to give time trends. Are you -- is it possible for you to
12 go back into those samples to measure the total, you know,
13 organic fluorine so that you can look at the trend of that
14 as well?

15 DR. NERISSA WU: That's the hope. There's very
16 small volume for these samples, so that's part of the
17 conversation we're having, how much sample do we need.
18 Is -- would pooling be a valid way to look at the samples.
19 These are samples for which we don't do results return, so
20 they're a little easier to do some of these more researchy
21 methods. And so I don't know, Kathleen, if you want to
22 address it. Some of it is also look at the commercial
23 availability of some of these for large-scale studies to
24 do either ultra-short or the EOF, the extractable organic
25 fluorine method, and which one of us -- which one of those

1 methods is going to give us the most thorough
2 understanding. They all have their challenges. They all
3 have their limitations. So that's our challenge right now
4 is to figure out which path to take?

5 CHAIR SCHWARZMAN: Oliver, and then Amy, and then
6 we have a five minute break scheduled so --

7 PANEL MEMBER FIEHN: Okay. I'm also sorry for my
8 question, but I'm also having a technical one and that
9 goes to Wendy Linck. So I understand that you have chosen
10 the extractable organic fraction and not the adsorbable
11 organic fraction of the non-targeted approach for the
12 PFAS. And what are the costs for that?

13 So is it like very cost effective compared to
14 other methods, the targeted for example, A, and B, can
15 these used for other matrices specifically for plasma or
16 serum?

17 WENDY LINCK: So we have selected adsorbable
18 organic fluorine AOF, not EOF, and -- and maybe I may have
19 stumbled over that word earlier. Apologies there. AOF is
20 a lot more cost effective than the targeted analysis,
21 because you're only doing one analyte, right? So you're a
22 couple of hundred dollars or a little bit more, whereas
23 533 is -- could be twice as much in cost for the targeted
24 analytes approach. And you had a third question, I'm
25 sorry. What was that?

1 PANEL MEMBER FIEHN: Can It -- whoops. Can it be
2 used for other matrices like blood?

3 WENDY LINCK: I don't know. That would be a good
4 question. That would be a good -- I am not sure. I'm not
5 sure about --

6 PANEL MEMBER FIEHN: Okay.

7 WENDY LINCK: -- about that, how that would --
8 how that would work. So I would need to -- I don't know
9 the answer to that.

10 PANEL MEMBER FIEHN: Okay. Thanks.

11 PANEL MEMBER PADULA: I have a question that kind
12 of piggybacks on that, because I was also curious, I know
13 we always want more data in all these different
14 dimensions, but to what extent do -- measuring total
15 fluorine in both blood and in water might be more kind of
16 cost effective to get sort of more numbers and then have
17 more targeted studies to, you know, get into the specific
18 analytes, because I -- when I saw the data on the PFHxS,
19 this -- that that stood out -- is that stood out, just
20 because that was the only one that we had sort of the
21 power to look at or is that just sort of the keys under
22 the streetlight? So I think this kind of -- this really
23 brings up the combination of the need to do both maybe.

24 CHAIR SCHWARZMAN: Great. Thank you, everyone,
25 who presented. And all of these thoughts in follow-up.

1 We have a five-minute break now that we were supposed to
2 start a minute ago, and I don't think we can shorten a
3 five minute break. So let's come back. We'll start again
4 at 2:31.

5 Thank you.

6 (Off record: 2:26 p.m.)

7 (Thereupon a recess was taken.)

8 (On record: 2:33 p.m.)

9 CHAIR SCHWARZMAN: Okay. We're going to get
10 started again on our next agenda item. And we will be
11 hearing from two speakers. The first is Jill Johnston,
12 who received her PhD in Environmental Sciences and
13 Engineering from the University of North Carolina at
14 Chapel Hill and is currently an Associate Professor of
15 Population and Public Health Sciences, and Director of the
16 Environmental Justice Research Lab -- (clears throat) --
17 excuse me -- in the Division of Environmental Health at
18 the University of Southern California. She conducts
19 community-driven studies and exposure assessments to
20 address inequitable exposures to harmful contaminants that
21 affect health disparities including in Latinx, Black, and
22 Asian Pacific Islander communities, and among the working
23 poor. She has studied health impacts of oil production in
24 Los Angeles and South Texas, and has served on technical
25 advisory panels on health impacts of oil production for

1 the LA County Department of Public Health and the State of
2 California. Today she'll be presenting on urban oil
3 drilling, environmental justice, and community concerns.

4 (Thereupon a slide presentation).

5 DR. JILL JOHNSTON: Thank you very much and thank
6 you for the invitation to be here today.

7 All right. Are my slides up?

8 PANEL MEMBER FIEHN: (Thumbs up).

9 DR. JILL JOHNSTON: Yep. Awesome.

10 Great. So I'm just going to share a broad
11 overview, really focused around community concerns and
12 ongoing research around upstream oil and gas extraction
13 with a focus on Los Angeles County.

14 [SLIDE CHANGE]

15 DR. JILL JOHNSTON: So I have no conflicts to
16 disclose.

17 [SLIDE CHANGE]

18 DR. JILL JOHNSTON: So just bringing us back kind
19 of over a century. There was a massive oil boom in Los
20 Angeles. The oil was easy to access, close to the
21 surface, and there was a rampant proliferation of wells
22 that soon followed its discovery. The laws that governed
23 both the ownership of land and oil in early 20th Century
24 California really encouraged this dense rush drilling.
25 And the results are really that this kind of industrial

1 development and extraction was intermingled with where
2 people were living and where businesses were operating.
3 And this really kind of exemplified a pattern of
4 development where these industrial operations were
5 occurring alongside where people were living.

6 [SLIDE CHANGE]

7 DR. JILL JOHNSTON: So today, there are over
8 20,000 active, idle or abandoned wells spread across the
9 county of 10 million people. While only about 10 to 15
10 percent of these wells remain active today, LA is still
11 one of the largest urban oil fields globally.

12 In addition to extraction, like this, comes along
13 with a massive network of pipelines, refineries, and cars
14 and trucks that burn fossil fuels daily. And largely,
15 this industry was -- has been underregulated and there are
16 very few requirements that have separated where this is
17 occurring from where people are living.

18 [SLIDE CHANGE]

19 DR. JILL JOHNSTON: Instead, sort of in lieu of
20 strong regulations and in response to some land use
21 conflicts, really the response was voluntary efforts that
22 intentionally tried to disguise the oil and gas operations
23 that were happening in these urban areas. So what this
24 looks like is the pictures here where oil wells were
25 operating inside buildings in these Disney-like islands

1 just offshore, or integrated into parking lots and strip
2 malls. And so this was really coined aesthetic mitigation
3 technology or really it's just hidden in plain sight.

4 Another popular practice we see at these wells
5 that tries to disguise its operation is the use of
6 industrial masking odorants, so these are kind of perfume
7 like compounds that try to mask other noxious smells, such
8 as hydrogen sulfide. And the protections that we see at
9 different communities really depends on who lives in that
10 community by community.

11 [SLIDE CHANGE]

12 DR. JILL JOHNSTON: So about 15 years ago, there
13 was a rapid increase in oil production, particularly in
14 some wells in South LA in the La Cienega oil field. And
15 this uptick in the production resulted in communities
16 experiencing a lot of nose bleeds, malodors, headaches,
17 wheezing, and it was that community organizing that
18 finally realized that hidden behind this wall was 23 oil
19 wells. This was a largely low-income predominantly
20 Mexican and Central American community. And really kind
21 of the health efforts around understanding the impacts of
22 these oil wells started with this community. And
23 illustrated here is just examples of them kind of using
24 manikins to illustrate a lot of the experiences that were
25 happening when this upswing in oil production was

1 happening.

2 This largely ignored by many regulatory agencies.
3 And the community was really asked to provide stronger
4 proof or scientific evidence that there was a connection
5 between oil drilling and community health issues.
6 Particularly in this community, the EPA came to visit this
7 site in late 2013. Many of the inspectors got ill. And
8 since then, this site has been idle, but there are several
9 nearby in the neighborhoods that continue to operate.

10 [SLIDE CHANGE]

11 DR. JILL JOHNSTON: And so what we find in Los
12 Angeles is really this on-match proximity to these oil
13 drilling sites. Here, we kind of illustrate how close the
14 nearest residential building is to an oil drilling site.
15 And in the vast majority of cases, there's less than 500
16 meters that separate the operations. There's about 2,500
17 active and 2,500 idle wells that still are operating or
18 could operate across the county. And the majority of
19 these wells are concentrated in predominantly people of
20 color communities. And so we know this sort of can
21 amplify and compound many impacts faced by those
22 communities.

23 [SLIDE CHANGE]

24 DR. JILL JOHNSTON: And so to understand more
25 about the potential cumulative burden of and the impacts

1 of oil and gas drilling in LA County, we compared
2 CalEnviroScreen scores to proximity to oil and gas wells.
3 Here, we generated quintiles specifically for LA County.
4 And with that, associated the proximity to oil wells or
5 whether or not there was an oil well within one kilometer
6 to the quintile of the CalEnviroScreen score. So in
7 essence, we observed that there was about a 94 percent
8 increase odds of being within 1 kilometer of a well among
9 the highest quintile compared to the lowest quintile in LA
10 County.

11 And when we looked at multivariate models, the
12 proportion of Black residents and the higher quintiles of
13 CES scores were also associated with significant odds of
14 having an oil or gas nearby. And so with this, we can see
15 that there is sort of several like environmental justice
16 implications when we look at the locations of these
17 operations in LA County.

18 [SLIDE CHANGE]

19 DR. JILL JOHNSTON: So in speaking to the
20 community, they also bring up several cumulative burdens
21 that they face from the existence of these wells. So for
22 example, many people bring up not only odors, but also
23 extensive truck traffic, damage to the roads. And this is
24 in addition to being sort of near freeways, near truck
25 corridors, as well as having less access to educational or

1 health care resources.

2 [SLIDE CHANGE]

3 DR. JILL JOHNSTON: And the health effects that
4 are frequently brought up include these acute health
5 symptoms, such as runny nose and nose bleeds, headache and
6 dizziness, eyes, throat, and skin irritation, as well as
7 adverse impacts to pregnancy outcome and increased
8 wheezing and asthma.

9 Also, folks often talk about concerns related to
10 carcinogens and the use of carcinogenic compounds at these
11 sites. And as you can see with these two pictures in
12 South LA, we see how close they are located to residential
13 buildings and to schools.

14 [SLIDE CHANGE]

15 DR. JILL JOHNSTON: And so just to highlight a
16 few of some key health impacts that we've seen when
17 specifically looking at communities near these South LA
18 drill sites, that we have found adverse impact to
19 respiratory health as well as cardiovascular health among
20 residents that live within one kilometer of two drill
21 sites in South LA. So in this study specifically, we
22 recruited almost a thousand people, in partnership with
23 community-based organizations and community health
24 workers, or promotoras, to complete a questionnaire,
25 conducts barometry, as well as do blood pressure

1 measurements.

2 And so kind of high level overview, we found that
3 proximity to oil drilling was significantly associated
4 with lower lung function. And we saw the largest deficits
5 among folks that lived both nearby, so about less than 200
6 meters, and downwind from the oil wells. And the impact
7 we saw was similar to studies that found adverse impacts
8 to living with someone who was a smoker. And we saw this
9 impact across all age groups and as -- as well as among
10 asthmatics and non-asthmatics affecting that we see harm
11 across sort of multiple populations in these communities.

12 Similarly, we also found significant decreases in
13 blood pressure as the distance from the site increased.
14 So this is suggesting that we're also seeing adverse
15 impacts to the cardiovascular system.

16 And this primary data that we collected from
17 South LA really builds upon a much larger body of
18 literature that shows increased risk of adverse birth
19 defects, especially preterm birth, and respiratory
20 outcomes in communities near upstream oil and gas
21 drilling.

22 [SLIDE CHANGE]

23 DR. JILL JOHNSTON: And so in addition, we have
24 done some community air monitoring using gas sensors in
25 these same South LA neighborhoods. And there, we observed

1 of identify three distinct factors, one of them which may
2 be associated with oil drilling. And that factor contains
3 manganese and nickel levels. We're working kind of on the
4 larger study with this, including people that are farther
5 away from the drill site to kind of understand more of
6 these potential associations.

7 [SLIDE CHANGE]

8 DR. JILL JOHNSTON: And so kind of with that, I'm
9 happy to take questions and just want to acknowledge kind
10 of the many folks that helped to make some of this work
11 possible.

12 Thank you.

13 CHAIR SCHWARZMAN: Thank you. We have a few
14 minutes for questions specific to this talk before we go
15 on to the next one.

16 Sure.

17 NANCY BUERMEYER: Thank you very much, Dr.
18 Johnston. My name is Nancy Buermeyer. I'm with the
19 Breast Cancer Prevention Partners. And I've heard people
20 talk about the perfumes that are pumped into the world
21 around these wells. And we do a lot on fragrance and all
22 of the toxic chemicals in fragrance. And I was curious if
23 any of the air monitoring was able to focus specifically
24 on those fumes or if there's a way to get a sample of
25 those perfumes in particular to see if we could figure out

1 what's going on with those? But thank you overall for all
2 the work you're doing. It's awesome.

3 DR. JILL JOHNSTON: Yeah. Thank you so much. I
4 mean you bring up a huge issue we hear a lot from
5 community residents. Our monitors are sort of these
6 sensors, so they're not able to capture anything
7 specifically about these odorants, but I'd be happy to
8 talk to anyone that has ideas about how to do that.
9 There's not a lot of permitting of this. So essentially
10 the data we have comes from community members that have
11 taken pictures of the trucks with their kind of IDs on it,
12 so we can understand what chemicals are being used and we
13 can look them up. But because it may change over time, I
14 haven't thought of a good way to really try to better
15 monitor for that, but I'd love to hear other folks' ideas.

16 SUSAN HURLEY: Susan Hurley from EHIB. Thank you
17 for a really interesting talk. I was curious about that
18 last slide where you presented those results about the
19 metals and toenails. I don't know if we really have time
20 to get into it today, but if you could just tell me a
21 little bit more about that and how you figured out which
22 particular metals were associated with the various
23 sources.

24 DR. JILL JOHNSTON: Yeah. So we use non-negative
25 matrix factorization to identify sort of groupings. And

1 that's sort of a unsupervised technique that looks at how
2 these metals may cluster together among the participants
3 we have. And then it's really relying on existing
4 literature to try to identify where these metals may be
5 coming from. And there has been particulate work among
6 occupational oil clean-up workers that has also seen this
7 nickel manganese mixture and used that as sort of an
8 indicator, right, of high levels of exposure to oil
9 workers.

10 Also, an analysis that's been done of PM filters
11 near drill sites, they also see elevated levels of nickel
12 and manganese. So it's still preliminary and sort of has
13 helped generate hypothesis, but I think, you know, it's
14 very exploratory at this point and is something we're
15 continuing to work on.

16 DR. MARTHA SANDY: Hi. This is Martha Sandy with
17 OEHHA. Thank you for your talk. I read your publication,
18 your paper on these -- the toenail study, the first one.
19 And it looks like you methods are -- I wonder if you could
20 say a little more about the methods. It looks look you've
21 washed the toenails clippings quite a bit, but I just --
22 it occurred to me is there -- do you have any information
23 or data on after all that washing, are you pretty
24 confident that any trace metals that might have been in
25 nail polish for instance, they have not penetrated and

1 bound to the nail itself?

2 DR. JILL JOHNSTON: Yeah, so we asked the
3 participant to remove nail polish before doing the
4 clippings. That's just with these like wipes, so it may
5 not completely remove it. This work is done by Brian
6 Jackson at Dartmouth. So he's the expert on the
7 laboratory methods. I do not do that. He's been doing
8 this for a long time and so I think he uses
9 state-of-the-art methods, but I think, you know, there's
10 always potential for residual contamination or
11 potentially, you know, from nail polish. I think we tried
12 to clean it the best we can. But because, you know, a lot
13 folks in this study, a lot of women frequently get
14 pedicures, you know, it -- we're not -- there's potential
15 for that to be there as well.

16 STEPHANIE JARMUL: Actually, I have a question.
17 Stephanie Jarmul from OEHHA. Could you talk a little bit
18 more about why you chose toenails. As a Biomonitoring
19 Program, we're obviously very interested in many matrices
20 and just -- if you could say a little bit more about that.

21 DR. JILL JOHNSTON: Yeah. So I would say a big
22 part of it was convenience and also comfort of the
23 community in providing samples and then also some
24 limitations when COVID hit, right, of what was easier to
25 collect and store. And so that was some of the initial

1 factors we decided to work on toenails, at first. We've
2 had a lot of conversations to think about what we could
3 measure with either urine or blood. And, you know, I'm
4 really interested to learn more from others around what
5 could potentially be a good biomarker that could connect
6 it back to like this crude oil signal.

7 DR. DAVE EDWARDS: Thanks. This is Dave Edwards
8 from OEHHA as well. Just to kind of follow up on
9 Stephanie's question, I guess, did you consider hair?
10 I've -- back when I -- before OEHHA, I was doing some
11 research and we did sort of hair -- metals in hair
12 analysis, and just sort of wondering if that's better or
13 worse than toenails, just sort of question.

14 DR. JILL JOHNSTON: Yeah. My understanding is
15 that toenails are sort of -- reflect a longer integration,
16 so it's more about nine to 12 months, whereas, hair may be
17 more recent and also can impacted by things like hair dye.
18 And sometimes people don't -- even if it's in the back,
19 don't want to cut their hair. But I know there's been
20 work out of Canada near its natural gas fracking sites,
21 and they have used hair as a biomarker looking at various
22 metals as well. So I think it's something that can be
23 explored more.

24 CHAIR SCHWARZMAN: Would you say something about
25 how much the metals are what you're concerned about? That

1 is among all the large selection of toxics that are
2 associated with these -- with oil and gas production, how
3 big are the metals, how big a component is the metals and
4 what other substances are you looking at?

5 DR. JILL JOHNSTON: Yeah. I mean, I would say
6 largely the concerns are around VOCs, especially the more
7 toxic ones, both in terms of what we've seen with air
8 monitoring. And I think in at least the urban environment
9 right, air may be a really important pathway about how
10 kind of exposures are impacting people's health. The use
11 of toenails and metals was just a little bit exploratory,
12 something we were interested in and had been kind of
13 working at in a couple other sites. But do I think it's
14 like the ideal matrix or chemical to be looking at, like
15 probably not. I just sort of wanted to -- since this was
16 biomonitoring, sort of share it with this group to, you
17 know, see some of the work that we've done, but I think
18 VOCs are definitely more of a concern.

19 CHAIR SCHWARZMAN: Thank you so much for that
20 presentation and for all of the work that you're doing.
21 It was wonderful to hear about it.

22 Assuming, there aren't any other questions, it's
23 time for us to move on and I want to introduce Yan Lin,
24 who received his PhD from UCLA in 2019 with training in
25 analytical chemistry biomarkers and biostatistics.

1 Currently, he's a post-doctoral associate at Duke
2 University's Global Health Institute and is on track to
3 become an Assistant Research Professor at Duke's Nicolas
4 School of the Environment. His research builds on efforts
5 to discover novel exposure biomarkers that are more
6 sensitive and specific to emerging pollution sources, such
7 as wildfires, smoke, and oil and gas activities, and
8 identify key signaling pathways that mediate the health
9 effects of air pollution and climate change.

10 Today, he'll be presenting on urinary metabolites
11 of polycyclic aromatic hydrocarbon derivatives as exposure
12 biomarkers of air pollution sources.

13 (Thereupon a slide presentation).

14 DR. YAN LIN: Thanks for the nice introduction.
15 Let me share my screen first.

16 First, I want to say good afternoon to everyone
17 and I am very happy to have this opportunity to share our
18 recent finding about the source-specific exposure
19 biomarker.

20 [SLIDE CHANGE]

21 DR. YAN LIN: First of all, I'd like to declare
22 no conflict of interest associated with my research and
23 specifically for this presentation.

24 [SLIDE CHANGE]

25 DR. YAN LIN: I want to first talk a little bit

1 about exposure biomarker. The definition among different
2 biomarker, exposure biomarker referred to the amount of
3 xenobiotic substance or its metabolites in biological
4 system and samples. So from this definition, we can
5 clearly see that exposure biomarker is good to assess
6 exposure for single chemicals, which pose significant
7 challenges for air pollution exposure assessment because
8 air pollution in nature is a chemical mixture.

9 So before we really use biomarker for air
10 pollution status, we really need to identify important
11 chemicals that are sensitive to environ -- air pollution
12 changes as well as can directly inform the health effects
13 of air pollution.

14 [SLIDE CHANGE]

15 DR. YAN LIN: For this purpose, we specifically
16 focus more about the polyaromatic hydrocarbons for a
17 couple of reasons. First, PAH can -- their sources vary.
18 Also, common pollution sources of air pollution like
19 combustion sources of vehicle emission as well as no
20 combustion sources like a lot of petrogenic sources.

21 On the other hand, PAH are also semi-volatile
22 chemicals that can exist in both gas and particulate
23 phase. So their atmospheric transportation is very
24 similar to those of important particulate matters and also
25 gas phase air pollutant like nitrogen dioxide.

1 More importantly, substantial evidence that
2 derive from toxicological and epidemiologic studies has
3 identified PAH as the major toxic components of air
4 pollution mixture. So the exposure assessment of PAH has
5 key toxic components of air pollution can directly inform
6 its health effects.

7 [SLIDE CHANGE]

8 DR. YAN LIN: So for now, we have pretty good
9 exposure biomarker. I call it traditional exposure
10 biomarkers for PAH. That's a urinary hydroxylated PAH.
11 For hydroxylated PAH, it quantify the total amount of
12 unsubstituted PAH that derive from almost all the
13 combustion sources. However, as we can see in this
14 diagram, most regulatory policy and interventional actions
15 many target at the source, or in other words emission of
16 the pollution, so that any result deriving from a
17 hydroxylated PAH can really directly inform information
18 about the source of emission of the pollutant in the
19 air quality -- in the air.

20 [SLIDE CHANGE]

21 DR. YAN LIN: So given this situation, we came up
22 with the idea to develop source-specific exposure
23 biomarkers that can direct link pollution sources to
24 health effects. So if this biomarker become available,
25 the findings from this biomarker can directly inform

1 regulatory policy or intervention that target at sources
2 to mitigate the health effects.

3 [SLIDE CHANGE]

4 DR. YAN LIN: So our efforts to identify those
5 biomarker has greatly benefit from our early works about
6 the source apportionment of ambient air pollutant. In
7 those work, we have conducted large field campaign in
8 North China and quantified more than 50 PAH as well as
9 some well recognized source tracers in particle matter
10 samples and air samples. So based on the source
11 apportionment result, we have identified several PAHs that
12 are good tracers for specific sources. For example, we
13 have shown that 2-methylphenanthrene are good tracers for
14 petrogenic sources. Where we also identify other good
15 tracers like 1-nitropyrene for diesel exhaust,
16 2-nitropyrene for secondary formation, and also some
17 methylated PAHs retain as good markers for wildfire.

18 So because -- at -- even if we have -- although
19 we have conduct research for all these different sources,
20 into this presentation, I will specifically focus on these
21 petrogenic sources given the general interest in gas and
22 oil related emissions in this Panel.

23 [SLIDE CHANGE]

24 DR. YAN LIN: Our study leverage some natural
25 contrast in the air pollution conditions at different

1 Beijing in which around 10 to 15 students from UCLA will
2 travel to Beijing and stay there for 10 weeks.

3 So what we did is we tried to recruit student and
4 collect their urine samples before, during, and after
5 their travel to Beijing. We conducted the study for
6 multiple years, so that we can also study the temporal
7 trend of exposure over years.

8 [SLIDE CHANGE]

9 DR. YAN LIN: This figure shows the level ambient
10 PM2.5 during the study period. In this pan -- each panel
11 indicated the data in each year, and the gray dot here
12 indicated data in Beijing, while the white dot indicated
13 data in Los Angeles.

14 As we can see across different years, the level
15 of PM2.5 is consistently higher in Beijing. Well, if we
16 look into those green dots only, the level of PM2.5
17 continues to decline over years. This is because since
18 2013 there is very ambitious air pollution control method
19 implemented in China. So we can see the effects of PM2.5
20 level here.

21 [SLIDE CHANGE]

22 DR. YAN LIN: So from the urine collected from
23 the subject, we have a very different exposure biomarker
24 in the urine specifically for PAH where it first accounted
25 by the level of hydroxy-PAH. We note the ability and also

1 the limitation of exposure biomarkers that it quantify the
2 exposure from almost all the routes, including inhalation
3 as well as dietary sources and other no air pollution
4 sources.

5 I want to mention that in this study we have
6 actively controlled no air pollution sources using
7 experimental control. For example, for smoking, we have
8 excluded all the smokers from the study, so that smoking
9 is not a major influence factor here.

10 We cannot fully exclude the effects of secondhand
11 smoke, which is likely to be higher in China due to the
12 higher smoking prevalence. However, we measured urinary
13 cotinine to post-hoc assess their secondhand smoke
14 exposure.

15 We note diet is another important source of PAH.
16 And especially for urinary biomarker, there was sort of
17 time as the reason that we also make important
18 contributions. So in our study, we have minimized the
19 effects of dietary sources by collecting morning urine
20 samples after at least fasting for eight hours. In
21 addition, we also use questionnaire to collect important
22 information -- collect information about their important
23 dietary sources like barbecue intake.

24 [SLIDE CHANGE]

25 DR. YAN LIN: So this result shows the level of

1 Angeles will potentially exposed to petrogenic sources.
2 So whether we have biomarker that can capture those
3 changes in sources.

4 [SLIDE CHANGE]

5 DR. YAN LIN: Here we use hypothesis driven
6 focused on particular hypothetical tracers for petrogenic
7 sources, 2-methylated-phenanthrene[sic]. Based on
8 previous literature, we have found that this chemical was
9 more abundant in the petrogenic sources. Well, their
10 abundance is quite lower in combustion sources. I think a
11 logical explanation is that the combustion sources will
12 generate is a highly oxidized -- oxidated environment.
13 That could oxidize the methyl group in this methylated
14 PAH, and therefore consume this chemical.

15 [SLIDE CHANGE]

16 DR. YAN LIN: And also based on the previous
17 literature, especially those from environmental monitor
18 studies, we can find that the ratio of
19 2-methylated-phenanthrene[sic] to phenanthrene was
20 generally higher among environmental matrix that came from
21 petrogenic sources. So then we think about if we can also
22 quantify the metabolites of methylated phenanthrene and
23 phenanthrene in the urine, we can potentially extend those
24 diagnostic ratio from environmental samples into the
25 biomonitoring status as a diagnostic ratio to distinguish

1 urine samples -- in more than 90 percent of the urine
2 samples, we have collected from the travelers.

3 [SLIDE CHANGE]

4 DR. YAN LIN: And this figure shows that -- the
5 special differences in traditional marker
6 hydroxy-phenanthrene and also our novel markers between
7 Beijing and Los Angeles. As we can see for both markers,
8 there are significant increase in Beijing, which is
9 consistent with mostly air pollution in Beijing and also
10 demonstrate this novel markers also sensitive to changes
11 in air pollution levels.

12 [SLIDE CHANGE]

13 DR. YAN LIN: Presently, we have calculate the
14 metabolites ratio between carboxylic and hydroxylated
15 metabolites of phenanthrene, which is a hypothetical
16 diagnostic ratio of petrogenic sources. And we also found
17 this ratio is quite sensitive to changes in the
18 environment. As we can see traveling from Los Angeles to
19 Beijing significant decreased the ratio. While returning
20 to Los Angeles will make it go back to baseline.

21 And also, the higher level of this ratio also
22 indicate higher contribution of petrogenic sources for
23 the -- to the overall exposure. So this evidence provide
24 indirect evidence showing that our markers could
25 potentially used to quantify -- to estimate a contribution

1 of petrogenic versus pyrogenic sources.

2 [SLIDE CHANGE]

3 DR. YAN LIN: First of all, we have averaged the
4 data from multiple years. We have also explored whether
5 there were significant temporal change of those ratios
6 across different years. And we can see in both Los
7 Angeles and Beijing, this ratio was significantly
8 increased from 2014 to 2017.

9 In Beijing, we have -- because we have pretty
10 source apportionment result, we note that this increase in
11 the ratio is mainly driven by the reduction in combustion
12 sources or, other words, petro -- pyrogenic sources.
13 However, we have no comparable information in Los Angeles,
14 so we don't know which -- what -- whether it's the change
15 of petrogenic versus petro -- which one drives this
16 temporal trend.

17 But I think an interesting observation is that
18 the increase in rate of this ratio in Los Angeles is
19 higher than that of Beijing, which implied that maybe both
20 the reduction in pyrogenic sources and the increase in
21 petrogenic sources can make a difference here.

22 [SLIDE CHANGE]

23 DR. YAN LIN: I think -- so after this study, we
24 still have a lot of unanswered questions. First, with --
25 in the Beijing Los Angeles study, we didn't collect any

1 information in the air. So we don't know whether those
2 Metabolites in the urine can reflect air pollution
3 exposure.

4 On the other hand, we also, as shown before, the
5 biotransformation procedure can also influence the
6 biomarker concentration, in addition to the exposure
7 itself. So we -- that's why we conduct another study to
8 further testing those two questions and see whether
9 external exposure to methylated-phenanthrene can
10 contributed to urinary carboxylic acid metabolize
11 phenanthrene and whether the ratio in personal PM2.5
12 sampler are correlated with the hypothetical metabolized
13 ratio in the urine.

14 In this study, we have recruited 120 adults in
15 Beijing and repeatedly collected their personal PM2.5
16 samples and matched urine samples. So the association
17 analysis was conducted to do -- to test those hypotheses.

18 [SLIDE CHANGE]

19 DR. YAN LIN: So this figure shows the
20 correlation between the personal exposure and urinary
21 metabolites. The pat -- the figure on the left indicate
22 there will be positive correlations between personal
23 exposure to PM2.5 bound to methylated phenanthrene and
24 urinary 2-carboxylic acid metabolites phenanthrene.

25 Well, the figure on the right indicate there is a

1 positive association between the ratio in the personal
2 PM2.5 samples versus those in the urine. So this evidence
3 provides direct support that the metabolites changes in
4 the urine can directly resulting from the changes in the
5 ambient inhalation exposure to PAH.

6 [SLIDE CHANGE]

7 DR. YAN LIN: With -- and also, in Beijing, I
8 think there is huge seasonal differences in the air -- in
9 the nature of air pollution, because of the heating
10 activities. In Beijing, the major pollution sources in
11 the no heating seasons are traffic emission, while the
12 major pollution sources in the heating seasons are coal
13 and the biomass burning.

14 So that's why we stratified the data based on
15 season and test whether the positive association was
16 robust between the two seasons. And our results suggest
17 that the relationship between ambient PAH and urinary
18 metabolites could be changed at different times, along
19 with different season with different pollution sources,
20 which means there the exposure is not only a predictor of
21 urinary metabolites.

22 [SLIDE CHANGE]

23 DR. YAN LIN: Therefore, we have also additional
24 collect a couple of questionnaire data and see whether any
25 other factors can influence the level of 2-carboxylic acid

1 diagnostic ratio to estimate the relative importance of
2 petrogenic sources versus pyrogenic sources.

3 In addition, we have identified two important
4 lifestyle factors, tobacco smoke and alcohol, as important
5 modulated influencing factors of the level of those novel
6 biomarkers. So we recommend to collect those two
7 information in future populations that is to better
8 control the effects of -- the effects of lifestyles on the
9 biotransformation procedure.

10 [SLIDE CHANGE]

11 DR. YAN LIN: I think we're -- I'd like to
12 acknowledge our extensive help from our collaborators
13 Peking University, UCLA, and Duke, and also I want to
14 acknowledge funding from multiple funding sources
15 including NIEH.

16 [SLIDE CHANGE]

17 DR. YAN LIN: Thanks a lot for your attention and
18 I'm happy to take any questions.

19 CHAIR SCHWARZMAN: Thanks so much. So similar to
20 last time, we'll have both chance for questions, and then
21 an open public comment period, and then a discussion, a
22 longer time for discussion. So we'll start with questions
23 from the Panel or from the audience about this talk. And
24 we also have someone monitoring online. So if there's a
25 webinar attendees who wants to ask a question, feel free.

1 It was a very thorough presentation. Okay. One
2 question here.

3 PANEL MEMBER LUDERER: Yeah. Thank you for that
4 presentation. It's very interesting. I think it seems
5 that one of the things that's really also demonstrated by
6 your presentation that I was struck by is how much overlap
7 there is between these, you know, different biomarkers,
8 so -- and which obviously relates to the fact that people
9 are exposed to these -- to PAHs via so many different
10 routes -- multiple different routes, right? And I was
11 wondering, you know, how -- teasing out the relative
12 contributions of each of those sources, you know, even
13 with these biomarkers is very challenging. I just wonder
14 if you could comment on that some more.

15 DR. YAN LIN: Yeah. Thank you. That's a --
16 that's a really nice question. I think for biomarker I
17 think for the recommendation of the use of biomarker, we
18 have -- I think there will be two scenario. I think one
19 scenario is that we use biomarker to quantify the total
20 amount of exposure and to understand where this exposure
21 came from, like which -- in this way, we can try to
22 understand whether dietary sources are more important or
23 inhalation sources are more important. In this -- if this
24 is the purpose, I think we are just -- we can just go
25 ahead and collect urine samples for the measurement of a

1 biomarker and also link them to different exposure route
2 that can better understand where this chemical came from.

3 And another scenario that we want to use
4 biomarkers, we tried -- we employed is -- as the truth
5 to -- for us to assess specific sources. In this way, I
6 think definitely air pollution will -- like, if air
7 pollution is something we want to study, we really want to
8 do something to minimize the effects of other sources like
9 dietary and like smoking. So if this is the case, I would
10 recommend we do more experimental control or provide
11 guidance to the subject who'll donate the urine to avoid
12 getting exposed from other sources.

13 In this way, the result can be directly used to
14 inform their -- to what extent they were influenced by
15 sources. So that's -- will direct to different purpose of
16 the markers and will rely on different study design.

17 CHAIR SCHWARZMAN: So I could check for -- oh, we
18 have another question. Sorry, Kathleen.

19 PANEL MEMBER SUÁREZ: I might have a question
20 online too.

21 DR. KATHLEEN ATTFIELD: And sorry, I'm right
22 behind you with the camera.

23 My question is around the sort of relative
24 half-lives if you're thinking about exposure -- like
25 trying to diagnose exposures from one source versus

1 another source and whether you have a recommendation on
2 sort of how many samples you would want to take per person
3 to sort of get an idea about perpetual exposures, because,
4 you know, diet can change from one day to the next and
5 that would definitely impact your PAH levels.

6 DR. YAN LIN: I think that's a really challenging
7 question. And to be honest, I don't have a direct idea
8 about the sample size will require to get that one. But I
9 think some information we can share is that we do find
10 those dose biomarker has pretty -- it's not -- it's less
11 influenced by those genetic factors like who you are. So
12 that we are -- we don't rely on like super longitudinal
13 design to control -- to make subjects more in control.
14 And this marker can be good use to focus sectional study.

15 And I think the sample size is really depends on
16 the strengths of the exposure. Like, if you have a huge
17 exposure from like a gas or oil drilling, I think that
18 small sample size will be adequate. But if you -- but if
19 the signal -- or the contribution of gas and the source of
20 interest is a relatively minor or moderate source compared
21 with other source, I think we'll have that and have a
22 larger sample size in order to detect a difference.

23 CHAIR SCHWARZMAN: We had a question from José.

24 PANEL MEMBER SUÁREZ: Yeah. Hi. Hi, Yan. Very
25 interesting -- very interesting presentation. I really

1 enjoyed the part where you're including students to be
2 part of your subjects there and these time trend visits,
3 and looking at how that really -- how the different
4 methods that you're using is sensitive enough to stratify
5 and detect the differences in these exposure levels.

6 So just a question. How -- for -- so for
7 example, you have some of the VOCs here, the methyl, what
8 is it, PHE versus the non-methylated versions, what are
9 the half-life differences in the body versus in the
10 environment in the air, and linked to that, of course,
11 would be how much within individual variability would you
12 expect versus like a between individual variability. And
13 the third question, which is all sort of linked to that,
14 so kind of how wide of an exposure window is a measurement
15 giving us?

16 DR. YAN LIN: Yes. Thank you. That's -- all
17 these are really nice questions. So let me answer the
18 first question. I think it's about the biological half
19 time. And I think there will be direct evidence to
20 support that. For the hydroxy-PAH, the half-time is
21 around 10 hours. And there will be -- for now, there is
22 no much information about biological half-time of those
23 novel markers, the carboxylic acid PAH. That we do
24 compare -- conduct a preliminary test about a tense
25 objective that weeks exposed to extremely high level of

1 air pollution.

2 I think our preliminary data indicate that the
3 half-time of carboxylic acid metabolites also within 24
4 hours, which means I think for both markers, they are
5 pretty short term and I think that's also consistent with
6 the fact that there is a good amount of both biomarker in
7 the urine. So in this case, I think definitely the
8 exposure window for this marker will be around recent 1 to
9 0 day, something like that.

10 And also for the -- for the half-time of PAH in
11 the atmosphere, I think it depends on the phase, like
12 if -- if the PAH exists in the gas phase, I think they are
13 -- they also short half-time because the solar radiation
14 can provide a very strong force for them to degradate, and
15 also some atmosphere oxidant like free radicals can also
16 break down those PAH. But if those PAH respond to the
17 particles, I think they can be pretty persistent, because
18 some other soot can cover the surface of particle matters
19 that can prevent the degradation of those PAH. So it
20 really depends on whether they exist in the gas and the
21 particles. Sorry, may I -- could you repeat the
22 question -- the second or the third question.

23 PANEL MEMBER SUÁREZ: No, I think -- I think you
24 got it. So I guess the second one was more looking at
25 individ -- within individual variability versus like

1 between individual variability, which typically tends to
2 be very related to the half-life of what it is that you're
3 measuring.

4 DR. YAN LIN: Yeah. Thank you.

5 PANEL MEMBER SUÁREZ: Thank you.

6 CHAIR SCHWARZMAN: Yeah, Amy.

7 PANEL MEMBER PADULA: Thanks so much. This is a
8 really interesting study design. I was also wondering if
9 you have considered testing even -- especially within the
10 LA -- time during LA, when -- in between times when maybe
11 there would be more petrogenic sources versus times when
12 wildfire smoke might dominate the air pollution, and
13 whether you could see the patterns between those two
14 periods. Yeah, that's my question.

15 DR. YAN LIN: That's a really nice question. And
16 also, the short answer is we do consider about that, but I
17 think our example is not due to answer that question,
18 because for -- because our study cohort, like UCLA
19 student, is highly clustered. Almost all of them was
20 resident in the -- nearby UCLA, so -- near UCLA, so that
21 there will be a long call for spatial variability in those
22 sources. And also, for all the collection, we have
23 conducted in a short -- in a narrow kind of window in
24 either just before and after the summer. So we also then
25 cover up a good temporal coverage to capture those

1 wildfire episode.

2 So we hope we can have opportunity to have a
3 better temporal or spatial coverage probably in a future
4 study among most of the residents to capture that wildfire
5 episode on those biomarkers.

6 CHAIR SCHWARZMAN: I need to check in about
7 public comment and then we'll move on to the discussion.
8 Rebecca, was there something?

9 REBECCA BELLOSO: No.

10 CHAIR SCHWARZMAN: No. Okay. In that case, we
11 have just under a half an hour for a discussion of this
12 topic that both presenters contributed to. And to get the
13 conversation started, I want to read a series of questions
14 that the program has provided that touch on the questions
15 that are coming to them as they consider how to study this
16 topic.

17 So when conducting a biomonitoring study around
18 oil and gas exposures, there's a few issues that the
19 Program would love to have us weigh in on and then any
20 other discussion points that anyone wants to bring up are
21 fine too. So the first is the Program is aware of heavy
22 metals, PAHs, V -- and VOCs as analytes of interest in
23 communities living near oil and gas fields. Are there any
24 additional analytes that the Program should consider?

25 The second one is does the Panel have any

1 recommendations on assessing cumulative impacts,
2 particularly when interpreting results and discussing
3 results with participants?

4 The third is we heard today that LA County
5 communities are heavily impacted by exposure to toxics
6 from oil and gas activities. Are there additional
7 communities or areas in California that the Program should
8 consider biomonitoring for oil and gas exposures?

9 And finally, are there any gaps in the literature
10 that the Program should consider or further research
11 that's needed before initiating a biomonitoring study in
12 these communities?

13 I can refer back to those. I think you're trying
14 to bring them up, so they might be on the screen soon, but
15 also we can refer back to them as needed. Anyway, if that
16 sparks discussion, that sounds like those are priorities
17 for the Program beyond that.

18 Oliver.

19 PANEL MEMBER FIEHN: Yeah. Hi. Oliver Fiehn, UC
20 Davis. I was happy or lucky to collaborate with Yan Lin
21 on the cumulative impacts on the exposures that he just
22 presented. He did not talk about it --

23 (Laughter).

24 PANEL MEMBER FIEHN: -- but if, you know, I may
25 paraphrase, we look at the cumulative impacts on both

1 oxidative and -- or inflammatory and anti-inflammatory
2 results in plasma from these people, as well as
3 triglycerides. So we saw very clear differences in
4 metabolic impacts in the study participants as, let's say,
5 associated with the exposures, but, you know, with the
6 same study design. And therefore, I think it might be
7 good to look at those things as well in other exposure
8 studies just -- not just exposure, but also how does it
9 change -- significantly change in body fluids of
10 participants.

11 CHAIR SCHWARZMAN: Other comments on or
12 discussion points on these topics or others related to
13 initiating a biomonitoring study of oil and gas exposures
14 exposed to communities.

15 PANEL MEMBER SUÁREZ: Just a quick question here
16 as a follow-up to Oliver's comment there. Are you
17 thinking more of something a little bit more mechanistic,
18 like the short-term effects of these different on maybe
19 like a subacute effect or maybe even a very acute effect
20 of the different concentrations in serum or whatever
21 biospecimen, urine, in relation to inflammation markers
22 triglycerides? Is that what you were trying to get at?

23 PANEL MEMBER FIEHN: Yeah. In a way, you know,
24 that's I think important at the end of the day, not just
25 to know what we are exposed to that much, but also how it

1 affects the body. And there are methods today that, you
2 know, there can be different methods used obviously to
3 assess that. But I think, you know, particularly to the
4 number two, right, that is a cumulative impact. And when
5 you go back to participants and say, well, we have that,
6 and we also have information how it may change specific
7 metabolites that have impact on health and these so-called
8 lipid mediators that we measured with Dr. Yan Lin.

9 And so that might be also informative for
10 participants. They might want to know that, right? And
11 so that was a unique study where both of that could be
12 investigated. And I just happen to know it, because I was
13 partnering in that study, but I, you know, could imagine
14 that this type of analysis and maybe other types of
15 markers might be informative in terms of what does it mean
16 to be exposed to something?

17 CHAIR SCHWARZMAN: I have a question that's maybe
18 for Program staff or other people who are aware of -- more
19 aware of the research in this area than I am, as you
20 contemplate a study, is the comparison community generally
21 people in -- like it's all about proximity to the
22 production, so you're comparing people who are closer --
23 living or working closer to it than people who are farther
24 way, but in the same region. I think that's how most of
25 these studies are done around oil and gas exposures. And

1 I'm wondering how folks who have already worked in this
2 area manage the issues of location of work, and -- like
3 and occupation, and how that might do -- exposure
4 misclassification comes in with those questions, how is
5 that generally controlled in these kinds of studies?

6 Any thoughts on that?

7 STEPHANIE JARMUL: I guess I can say a little bit
8 about that. Stephanie Jarmul from OEHHA.

9 I believe it's one kilometer is considered living
10 near an oil and gas facility. One of the studies also out
11 of UCLA I believe use that as their parameter. And I
12 think it depends on what your question, in terms of like
13 who your control population is, because, you know, LA is a
14 very unique situation, but there might be some other
15 communities in California who would have different variety
16 of exposure sources. And even with Yan's presentation,
17 we're really interested in that, because that might at
18 least give us the opportunity to help distinguish between
19 the petrogenic and the pyrogenic sources, so being able to
20 tease out are these exposures coming from the proximity to
21 oil and gas or is it from like nearby traffic, because
22 that also obviously heavily impacts LA. So would we want
23 to control a population that is further way from traffic
24 sources and just near oil and gas facilities? These are
25 all questions that we're kind of pondering.

1 CHAIR SCHWARZMAN: And what about location of
2 work and what work folks do?

3 STEPHANIE JARMUL: You mean, what type of work
4 they do or the location of their work itself?

5 CHAIR SCHWARZMAN: Both actually, but I'm
6 thinking for such a location-based study you need to know
7 where people go during the day.

8 STEPHANIE JARMUL: And that is something we can
9 consider. We did that for EBDEP, I believe. We did sort
10 of -- we maybe even had a tracker that they wore to sort
11 of track where they were going on each day that they were
12 involved in this study. And so I think we're actually
13 working through some of that data right now and help us
14 to -- if we were interested in doing that in the future.

15 CHAIR SCHWARZMAN: Another thought, and I don't
16 know this literature super well, but I know you do because
17 you use this, is silicone wristbands as a way of like
18 helping stratify exposure groups. And you don't have to
19 know so much about where they went, because if you have
20 this sort of passive monitoring method to sort people, if
21 you know that the petrogenic sources travel with something
22 that you can measure in a silicone wristband. I'm getting
23 a little vague here, but as a concept.

24 STEPHANIE JARMUL: That is certainly something
25 we're interested in. I'm not as clear if PAHs themselves,

1 what they're, you know, absorption rate would essentially
2 be in the wristbands. We are just now working through our
3 very initial, you know, pilot testing of the wristbands
4 for the FRESSCA study. So we're hoping to learn more a
5 bit about that, but that is definitely something we're
6 interested in pursuing in further studies. I know they've
7 been used in many studies and have had problems seeing
8 results. But I'm not as clear with the PAHs specifically
9 in the silicone wristbands.

10 DR. YAN LIN: Yeah, I think I can add some
11 information about the PAH in the wristband. Actually, we
12 do have some concern in measuring PAH in the wristband. I
13 think they are pretty good in getting us a result. Like
14 if we wear a wristband for around one days and in a
15 typical situation we can get good amount of PAH. But most
16 of the PAH we can detect, it's not just two, three, and
17 four rings PAH. And for those heavy ring PAH, like BAP,
18 they are typically not detectable for wristband. So
19 that's some information we can share.

20 SUSAN HURLEY: Hi this is Susan Hurley from Ehib.
21 I was just thinking back to one of the comments that Jill
22 made in her presentation, which was I think it was in the
23 South LA study where you mentioned that the air toxic
24 levels went down when the drilling stopped. And so that
25 that was -- that you could see that even in a community

1 where there's a lot of traffic.

2 And so I'm thinking is there any way to design a
3 study that takes advantage of that? Like are there
4 planned like times of non-operation, given that a lot of
5 these biomarkers have short half-lives? I'm wondering,
6 if, you know, we could design something around that. I
7 don't know enough about gas and oil development to know if
8 that's even a possibility.

9 DR. JILL JOHNSTON: With that, I think there's
10 some wells that are planning to sort of phaseout
11 production, at least in LA County. I'm not sure about
12 Kern County. But, I mean, that could -- that's sort of
13 what we leverage, right, to look at the -- when the well
14 was producing versus when it went idle. And so, you know,
15 I think there's potential to leverage those opportunities
16 as it's anticipated, like more wells are going to stop
17 producing, you know, over the coming decades in LA to try
18 to like examine those changes.

19 I think one other thing to keep in mind, this
20 is -- there's like other issues us, is just there's really
21 different control technologies used on different well
22 sites in LA. And so, you know, in that case the exposures
23 may not all be equal, depending on sort of what
24 neighborhood you're looking at. And so I don't -- that
25 hasn't really been fully explored. And there's been air

1 monitoring studies around Baldwin Hills and one that's
2 going to start in the La Cienega oil fields in the South
3 LA oil field. And then there's been some work out in Kern
4 County as well. And that could potentially offer insights
5 as they measured like a whole large suite of VOCs.

6 CHAIR SCHWARZMAN: I had a question about other
7 factors affecting indoor air quality. Because if we're
8 looking at residents and residential proximity, then
9 there's so much variation in indoor air quality and the
10 factors that affect it. And, you know, I know in the
11 studies that the program is working on around wildfire
12 smoke exposure and interventions, there's also just this,
13 you know, use of indoor air purifiers and different types
14 of indoor air purifiers as an intervention arm of the
15 study.

16 And I just raise it as a point of consideration
17 with this either as a -- as an element of the study or how
18 to account for differences in people who may be living
19 within a kilometer of the oil and gas extraction site, but
20 may have very different factors affecting their indoor air
21 quality, like air purifiers, and how you might incorporate
22 that into questionnaires to make sure it's not mixing
23 groups.

24 STEPHANIE JARMUL: I think we would definitely
25 want to include questions around that in our surveys of

1 participants. And luckily, we have a lot of those
2 questions already from our previous studies. That's
3 always a big concern is these other sources of exposures,
4 indoors especially. So yes, that is something we will
5 make sure that we look into.

6 And then I'm also -- I believe maybe Jill knows a
7 little bit more about this. I thought there was some
8 legislation that was introduced to reduce maybe emissions
9 in I don't know if it was LA County. I don't know, Jill,
10 if you're familiar with this in the next few years having
11 to deal with the different proximities to the oil fields?
12 And that might be something interesting to look at too, if
13 we're able to -- I'm not sure of the timeline, if we're
14 able to get out there before and after. That's something
15 else we can consider.

16 DR. JILL JOHNSTON: So, in -- last year, LA City
17 and LA County passed a phaseout. Right now, it's about a
18 20-year phaseout for oil and gas drilling. It was
19 declared incompatible land use. Most of the wells that
20 would go offline are sort of individual ones, so they
21 happen as a result of lawsuits or as well as a result of
22 like added permitting requirements on them that may
23 change, right, what kind of control technology is being
24 used. The statewide legislation was the 3,200-foot one,
25 but that hasn't been implemented yet.

1 NANCY BUERMEYER: I don't know the details of it,
2 but there is a bill -- Nancy Buermeyer, Breast Cancer
3 Prevention Partners -- about idle wells and capping idle
4 wells. That's pending now. I'm sorry I don't know more
5 than that, but...

6 CHAIR SCHWARZMAN: Did you have something, Amy?
7 Please.

8 PANEL MEMBER PADULA: I had a few comments to
9 sort of follow up on a few threads that have been going.
10 But one was, yeah, there have been other studies similar
11 to Jill's by David Gonzalez and others on oil wells that
12 have closed and then the changes specifically in air
13 pollution. And I think that also just brings up -- I
14 think -- I was struck when I was reviewing some of this
15 work is that of -- about just the cumulative exposure. So
16 it's not, I think, as important as it is to kind of find
17 out what's really coming from the well itself, but also
18 the trucks that bring the oil, and now all of these other
19 kind of additional pieces. I think if there's a way of
20 kind of creating metrics that account for the cumulative
21 nature of them.

22 And then also I agree about the importance of
23 understanding infiltration of these pollutants into the
24 indoor air. And I think in addition to air purifiers
25 would be information on air cooling systems, whether

1 they're filtered or not in that process, especially in LA,
2 given the heat considerations. So, yeah, in addition to
3 kind of other housing factors, that cooling would be
4 something I'd want to include.

5 CHAIR SCHWARZMAN: José.

6 PANEL MEMBER SUÁREZ: Yeah, this question is for
7 Jill. And first, Jill, thank you for that presentation
8 and the wonderful work. I would like to disclose that in
9 my graduate level course of environmental and occupational
10 health at UCSD, we used one of your publications, the 2021
11 about respiratory health, as a case study and students
12 love hearing about it. It's an eye-opening for a lot of
13 people to realize that there's so many oil wells within LA
14 proper.

15 Today, we've been hearing about PFAS as well.
16 And I know that PFAS have been measured in air in large
17 manufacturing plants in general. What do you know about
18 the use of PFAS for oil extraction?

19 DR. JILL JOHNSTON: Not very much. I have been
20 told it's used especially like in drilling fluids when
21 they do injections with PFAS, but I have not kind of
22 studied it or analyzed it in anyway. So sorry, I can't be
23 more useful but, yes, thank you for your comments.

24 CHAIR SCHWARZMAN: Any other comments or points
25 of discussion on this before we go to an open public

1 comment period on all the content from today?

2 STEPHANIE JARMUL: We do have a member of the
3 public that would like to speak. I'm not sure if it's for
4 this item or for the open public comment period, but Dr.
5 Sumchai if you wanted to unmute and speak.

6 DR. AHIMSA PORTER SUMCHAI: Dr. Ahimsa Porter
7 Sumchai. I am the founder and the director of the Hunters
8 Point Community Biomonitoring Program, the foundation and
9 the toxic registry.

10 With regard to the item on the agenda, I just
11 point -- wanted to point out that the Richmond, Martinez
12 area of Northern California is an area where there's a
13 heavy concentration of refineries and also point out that
14 there was legislation that was proposed that would create
15 buffer zones around oil and gas refineries, specifically
16 those that are sited near day care centers.

17 I wanted to speak very, very briefly about the
18 findings of the five-year Hunters Point Community
19 Biomonitoring Program and our creation of a toxic
20 registry. The Hunters Point Biomonitoring Program was
21 launched in January of 2019 and we use a kit that is
22 capable of detecting 35 potential toxicants, including
23 chemicals of concern documented to be present at a federal
24 Superfund site, in addition to chemicals that are listed
25 on the Proposition 65 list of carcinogens and chemicals

1 that cause reproductive harm.

2 In the five years since we have launched, we have
3 been able to geospatially map a community within the one
4 mile perimeter of a system of federal Superfund sites.
5 And our findings identify basically that the risk of
6 exposure is factored by two parameters, how close you live
7 to the base and how long the duration of exposure. Most
8 of the people who we have entered into the registry, the
9 registry consists of 100 people, 85 residents, the
10 majority of whom currently live within the half mile
11 perimeter of the federal Superfund system and 15 UCSF
12 workers, current and former, who are located on the Naval
13 base within 200 feet of the landfill. And of that group
14 of 100 people, that cohort, all of them have risk of
15 exposure evidence or proof of exposure and adverse health
16 effects.

17 The chemicals that we are detecting are chemicals
18 that are documented by the EPA and the Navy to be present
19 in soils at the federal Superfund system, as well as
20 chemicals on the Proposition 65 list. The most commonly
21 detected chemicals above reference range are manganese,
22 vanadium, thallium, nickel, gadolinium, rubidium, arsenic,
23 and then we have chemicals on the Proposition 65 list,
24 including lead and chromium, cadmium, vanadium, and
25 radionuclides.

1 We have also conducted speciated urinary
2 screenings capable of detecting radioisotopes. And we
3 have detected radioactive potassium, a progeny of
4 plutonium, as well as a progeny of uranium and cesium. So
5 we are working right now to formalize the registry to
6 develop the type of funding that it needs for advocacy and
7 protecting people who are currently living and working
8 within the one-mile perimeter of the federal Superfund
9 system.

10 Thank you very much.

11 CHAIR SCHWARZMAN: Thank you for that. Is there
12 any other public comment?

13 DR. SHOBA IYER: Hi. Shoba Iyer, San Francisco
14 Environment Department and previously a toxicologist at
15 OEHHA working on Biomonitoring California.

16 I have a couple comments I want to make that
17 could be suggestions for a couple of the questions. Some
18 of you might remember that I shared information about
19 quaternary ammonium compounds in years past. And they are
20 a chemical class on both the Designated and Priority
21 Chemicals list. When I was looking at potential for
22 exposure to these compounds, I did see that there are
23 quaternary ammonium compounds used as oil field biocides
24 and corrosion inhibitors in oil and gas operations. So
25 that might be a chemical class to consider in terms of an

1 analyte.

2 And then in that research I had done, I was
3 collaborating with an OEHHA colleague who was familiar
4 with a database of chemicals used in fracking and oil and
5 gas operations that I think at the time was housed by
6 DOGGR. It's an acronym -- State acronym I don't remember
7 what it is. And now I think it might be the Department of
8 Conservation, but there could be other State resources for
9 looking at what other potential analytes might be to
10 evaluate as well as locations of oil and gas wells.

11 CHAIR SCHWARZMAN: Any other final comments or
12 anything on the web?

13 Any attendees?

14 In that case, we can wrap-up the meeting. I
15 should announce there will be a transcript of the meeting
16 posted on the Biomonitoring California website when it's
17 available. And the next SGP meeting will take place on
18 July 19th, 2024 from 10 to 4 -- 10 a.m. to 4 p.m. And
19 options for attending that meeting will become clear as
20 the date approaches and will be posted on the website or
21 sent out to the -- to the mailing list.

22 Biomonitoring California will, as you've heard,
23 hold a 15-year anniversary celebration upon adjournment of
24 the meeting. And I want to thank as usual the staff for
25 putting together an amazing meeting, and the audience,

1 and, of course, the Panel members as well and adjourn the
2 meeting.

3 (Thereupon the California Environmental
4 Contaminant Biomonitoring Program, Scientific
5 Guidance Panel meeting adjourned at 3:54 p.m.)
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

