

CALIFORNIA ENVIRONMENTAL CONTAMINANT BIOMONITORING PROGRAM

(BIOMONITORING CALIFORNIA)

SCIENTIFIC GUIDANCE PANEL MEETING

CONVENED VIA HYBRID FORMAT BY:

OFFICE OF ENVIRONMENTAL HEALTH HAZARD ASSESSMENT

CALIFORNIA ENVIRONMENTAL PROTECTION AGENCY

STATE OF CALIFORNIA

ELIHU M. HARRIS BUILDING

GEORGE ALEXEEFF ENVIRONMENTAL HEALTH LIBRARY

16TH FLOOR

1515 CLAY STREET

OAKLAND, CALIFORNIA

MONDAY, NOVEMBER 6, 2023

9:05 A.M.

JAMES F. PETERS, CSR
CERTIFIED SHORTHAND REPORTER
LICENSE NUMBER 10063

APPEARANCES

PANEL MEMBERS:

Megan R. Schwarzman, MD, MPH, Chair

Carl Cranor, PhD, MSL

Lara Cushing, PhD, MPH

Oliver Fiehn, PhD

Ulrike Luderer, MD, PhD

Thomas McKone, PhD

Penelope (Jenny) Quintana, PhD, MPH

José Suárez, MD, PHD, MPH

OFFICE OF ENVIRONMENTAL HEALTH HAZARD ASSESSMENT:

Dave Edwards, PhD, Chief Deputy Director

Stephanie Jarmul, MPH, Section Chief, Safer Alternatives Assessment and Biomonitoring Section, Reproductive and Cancer Hazard Assessment Branch

Meltem Musa, PhD, Staff Toxicologist, Safer Alternatives Assessment and Biomonitoring Section, Reproductive and Cancer Hazard Assessment Branch

Martha Sandy, PhD, MPH, Chief, Reproductive and Cancer Hazard Assessment Branch

CALIFORNIA DEPARTMENT OF PUBLIC HEALTH:

Kathleen Attfield, ScD, Chief, Exposure Surveillance and Epidemiology Unit, Environmental Health Investigations Branch

Dina Dobraca, MPH, Epidemiologist, Environmental Health Investigations Branch

APPEARANCES CONTINUED

CALIFORNIA DEPARTMENT OF PUBLIC HEALTH:

Jianwen She, PhD, Chief, Biochemistry Section,
Environmental Health Laboratory Branch

Nerissa Wu, PhD, MPH, Chief, Exposure Assessment Section,
Environmental Health Investigations Branch

CALIFORNIA DEPARTMENT OF TOXIC SUBSTANCES CONTROL:

Kelly Chen, MS, Research Scientist, Exposure Surveillance
and Epidemiology Unit, Environmental Health Investigations
Branch

Songmei Gao, PhD, Research Scientist, Environmental
Chemistry Laboratory

June-Soo Park, PhD, Chief, Environmental Chemistry and
Biomonitoring Branch, Environmental Chemistry Laboratory

INDEX

	<u>PAGE</u>
Welcome	
David Edwards, PhD, Chief Deputy Director, OEHHA	1
Overview of the Meeting	
Meg Schwarzman, MD, MPH, Chair, Scientific Guidance Panel (SGP)	4
Program Update and Planning	
Presentation: Nerissa Wu, PhD, MPH, California Department of Public Health (CDPH)	7
Presentation: Songmei Gao, PhD, Department of Toxic Substances Control (DTSC)	20
Panel and Audience Questions	29
Open Discussion and Input	40
Panel Recommendation: Potential Expansion of the Perfluoroalkyl and Polyfluoroalkyl Substances (PFASs) Designated Chemical Group	
Background document: Potential Expansion of PFASs Designated Chemical Group. Introduction and Overview of Document on Potential Expansion of the PFASs Designated Chemical Group: Martha Sandy, PhD, MPH, and Meltem Musa, PhD, OEHHA	56
Panel Questions	66
Public Comment	72
Panel Recommendation	74
Open Public Comment Period	90
Wrap-up and Adjournment	91
Reporter's Certificate	93

PROCEEDINGS

1
2 DR. EDWARDS: So welcome, everyone. This is
3 great to see all of you in person -- just about all of you
4 in person. I think this is the first time that I've been
5 presiding over this meeting since I started here two years
6 ago. So, yeah, I'm the Chief Deputy Director. I think
7 Vince has been doing this, but Vince did retire two weeks
8 ago. So I just wanted to let everyone know that. And so
9 I guess till we have a new person for Vince, we'll be --
10 I'll be presiding over these meetings as well.

11 So with that, I guess I'll get into introductions
12 and I'll start with Carl who is remotely attending.

13 PANEL MEMBER CRANOR: I'm Carl Cranor,
14 distinguished professor of philosophy and a member of the
15 Environmental Toxicology Program. Very sorry to miss this
16 meeting. It sounded like a lot of fun. I'll observe as
17 best I can. I was diagnosed with COVID yesterday.

18 DR. EDWARDS: Oh. Laura.

19 PANEL MEMBER CUSHING: Hi. I'm Laura Cushing,
20 assistant professor in the Department of Environmental
21 Health Sciences at UCLA.

22 DR. EDWARDS: Tom.

23 PANEL MEMBER MCKONE: I'm Tom McKone, professor
24 emeritus at the School of Public Health, University of
25 California, Berkeley, and also a retired affiliate at

1 Lawrence Berkeley National Laboratory.

2 DR. EDWARDS: Ulrike.

3 PANEL MEMBER LUDERER: Hello. My name is Ulrike
4 Luderer. I'm a professor in the Department of
5 Environmental and Occupational Health at UC Irvine.

6 DR. EDWARDS: Jenny.

7 PANEL MEMBER QUINTANA: Hi. My name is Penelope,
8 nicknamed Jenny, Quintana, and I'm a professor of
9 environmental health in the School of Public Health at San
10 Diego State University.

11 CHAIRPERSON SCHWARZMAN: I'm Meg Schwarzman and
12 I'm a researcher and lecturer in the Environmental Health
13 Sciences Division at the School of Public Health, UC
14 Berkeley.

15 DR. EDWARDS: Oliver.

16 PANEL MEMBER FIEHN: Oliver Fiehn -- is that on?
17 Now, it's on.

18 Oliver Fiehn, professor of molecular and cellular
19 biology and Genome Center of University of California, at
20 Davis.

21 PANEL MEMBER SUÁREZ: José Suárez, associate
22 professor at the Herbert Wertheim School of Public Health
23 at the University of California, San Diego.

24 DR. EDWARDS: All right. Great. It looks like
25 we have a quorum. So with that, I will turn it over to

1 Meg to run the meeting.

2 CHAIRPERSON SCHWARZMAN: I'm going to pass back
3 to Dave for just a minute.

4 DR. EDWARDS: All right. Great. So the Panel
5 last met on March 7th, 2023. The meeting did include
6 updates on the Biomonitoring California Program
7 activities, including the community biomonitoring studies.
8 We also heard from a guest speaker Matt MacLeod, a
9 professor of environmental chemistry at Stockholm
10 University. And he presented on the application of a
11 population based pharmacokinetic model for interpretation
12 of PFAS data from the California Regional Exposure Study.
13 The Panel, staff presenters, and audience members delved
14 into planning for future program activities. The Panel
15 also provided feedback on current activities.

16 Key discussion topics included:

17 The challenges and opportunities of assessing
18 exposures to PFASs, including highly exposed
19 subpopulations and the use of California Water Board data
20 to identify potential hot spots of exposure in California;
21 the use of expanded PFAS methods to analyze samples from
22 the California Regional Exposure (CARE) Study, and the
23 Studying Trends in Exposures in Prenatal (STEPS) Study;
24 and then complexities in messaging potential arsenic
25 exposures due to rice consumption; and interpretation and

1 future analysis of the data for urinary naphthalene in the
2 Stockton Air Pollution Exposure Project, or SAPEP.

3 A summary of the March meeting and transcript are
4 posted on the March 23 SGP meeting page on the Program's
5 website at biomonitoring.ca.gov.

6 All right. And then one other item the -- also
7 that Eunha Hoh resigned in July from -- as being a Panel
8 member to give more attention to her other commitments.
9 She was appointed by the Speaker of the Assembly in 2018,
10 and has been an outstanding member of the Panel for the
11 past five years. We want to thank her for her service to
12 the people of California and wish her the very best in her
13 future endeavors.

14 All right, I think back to Meg. Sorry about
15 that.

16 CHAIRPERSON SCHWARZMAN: Thank you, Dave and good
17 morning. Since I have a bit to say, I'm just -- is that
18 good for closeness of the microphone?

19 Okay. For -- to just begin for transparency
20 sake, I wanted to share that in September, I was contacted
21 by Veena Singla of the Natural Resources Defense Council
22 and we discussed PFAS definition in general, but not the
23 work of this committee, and I suggested that they contact
24 Biomonitoring California staff for more information.

25 So as a reminder for Panel members, please comply

1 as usual with Bagley-Keene requirements, that all
2 discussions and deliberations of the Panel need to be
3 conducted during the meeting, not on breaks or with
4 individual members of the Panel on or offline, including
5 via phone, email, chats, or text messages.

6 So the plan for this morning's meeting, we will
7 start with an update from the Program on recent
8 activities, including the Program's extended method for
9 detecting perfluoroalkyl and perfluoroalkyl substances, in
10 serum and plasma.

11 The remainder of the meeting will focus on the
12 SGP's consideration of the expansion of the PFAS
13 designated chemical group and that will include an
14 overview of the potential expansion of the designated
15 chemical group document by OEHHA. It will include a
16 public comment period and discussion by Panel members.
17 There will be time for questions from the Panel and the
18 audience after each presentation.

19 So instructions for how we'll do this remote -- I
20 mean, split hybrid meeting. If SGP members wish to speak
21 or ask a question, just raise your hand and I will call on
22 you. If online webinar attendees have questions or
23 comments during the presentation -- sorry, the question
24 periods after each talk, then you can submit them via the
25 Q&A feature of the Zoom webinar or by email to

1 biomonitoring@oehha.ca.gov. We won't be using the Zoom
2 chat function during the meeting. Please keep your
3 comments brief and focused on the items under discussion.
4 This is for the webinar attendees. And relevant comments
5 will be read aloud and paraphrased when necessary.

6 If online attendees wish to speak during the
7 public comment periods and discussion sessions as opposed
8 to submitting written comment, please use the raise hand
9 feature in Zoom and Stephanie Jarmul will call on you at
10 the appropriate time.

11 If you're attending in person and you wish to
12 comment during the public comment periods and the
13 discussion sessions, please come to the front here. We'll
14 return a microphone to this stand or raise your hand and
15 I'll call on you at the appropriate moment.

16 And for the benefit of the transcriber, a
17 reminder to please clearly identify yourself if you're
18 commenting from the public or the audience before
19 providing a comment and also write your name and
20 affiliation on the sign-in sheet that's in the room at the
21 back of the room, I think.

22 Okay. So we will start by hearing from two
23 speakers from the program. I will hold off on asking for
24 clarifying questions from the Panel and audience until
25 we've heard both presentations. So our first presenter is

1 Nerissa Wu, Chief of the Exposure Assessment Section in
2 the Environmental Health Investigations Branch (EHIB) of
3 the California Department of Public Health and the overall
4 lead for Biomonitoring California. She'll provide an
5 update on current program activities

6 (Thereupon a slide presentation).

7 DR. WU: Good morning, everybody. Is there a way
8 to -- it's good to see everyone in person.

9 Welcome to those of you who are joining us
10 online. Today's update was actually initially designed
11 for our August meeting, which then had to be delayed
12 because of the hurricane, but we've edited it to
13 incorporate some of the more recent activities.

14 --o0o--

15 DR. WU: So there is a lot to go over, so I'll
16 spend a little bit of time on some administrative updates
17 before covering project updates and laboratory and
18 communications activities.

19 --o0o--

20 DR. WU: We've had a lot of staff change. We've
21 had a few people leave the program: Cheryl Holzmeyer, who
22 used to run this meeting; Sabrina Smith, who's been such
23 an instrumental part of the Environmental Chemistry Lab;
24 and Andrew Tan, who helped manage samples over at the
25 Environmental Health Laboratory. They have all left the

1 program, so we just wanted to wish them well and thank you
2 for all their work. We also have a number of new staff
3 that are indicated in blue here. We have McKenna
4 Thompson -- Thomas -- sorry, Thompson. Sorry. We have
5 Rebecca Belloso, who's helping run the meetings now and
6 Meltem Musa, who you'll hear from later today. And we
7 have one new staff person at DTSC, Ruihong Xiao. And
8 three interns who have joined us Emily Beglarian, Emily
9 Gokun, and Sarah Snyder all who have joined the Program in
10 the last few months. So welcome to all of you and I'm
11 looking forward to working with you.

12 And we also have two new staff who have taken on
13 new roles. We have Susan Hurley, who you're very familiar
14 with, formerly with OEHHA. She's now with CDPH.
15 Thankfully still with Biomonitoring. And Stephanie Jarmul
16 who you have just heard from, who is now the Chief of the
17 Safer Alternatives Assessment and Biomonitoring Section.
18 So congratulations, Stephanie. We're very, very fortunate
19 to have her in that role.

20 We do still have open positions at Biomonitoring,
21 so anyone interested in joining the team, please get in
22 touch with us.

23 --o0o--

24 DR. WU: The other programmatic update I have is
25 that the 7th Legislative Report, which covers July 2019 to

1 June 2021 is now available. This is posted on our
2 website. This is a bi-annual report that we're required
3 to put together that reports out on activities and data
4 that's been generated during that two-year reporting
5 window. And we're at work on the 8th legislative report.

6 --o0o--

7 DR. WU: So let me turn to some project updates.
8 And as I go through this, you'll note that we have a lot
9 of external collaborations in the works now. And I'm
10 pointing this out, because I think it was a year ago
11 talking about how to make the Program as impactful as
12 possible. One of the recommendations was for us to reach
13 out and form more partnerships. And I think we've done a
14 lot of that this last year. And it's been a very
15 effective approach.

16 --o0o--

17 DR. WU: So I'm starting off with the California
18 Regional Exposure, or CARE, Study. This is our
19 surveillance work that was conducted in Southern and
20 Southeastern California with samples collected from 2018
21 to 2020. And we're currently using that data to better
22 understand sources of PFAS exposure. So Toki Fillman from
23 our staff has been focused on this association between
24 drinking water levels and the serum levels in those CARE
25 participants working to identify a single drinking water

1 upcoming EPA maximum contaminant levels will impact water
2 quality as well as availability of data. She's also met
3 with the CalEnviroScreen staff to talk about how we'd like
4 to incorporate the PFAS data into their mapping tool. And
5 Toki and Kathleen have been working with Boston University
6 School of Public Health, Emily Pennoyer, Tom Webster, and
7 Wendy Heiger-Bernays, to look at the relationship between
8 dietary factors, drinking water, and the PFAS levels in
9 our participants.

10 --o0o--

11 DR. WU: Moving on to ACE. This is the Asian
12 Pacific/Islander Community Exposures Project. This is the
13 study that focused on Chinese and Vietnamese communities
14 in San Francisco and San Jose. Samples were collected in
15 2016 and 2017. And we biomonitored folks for metals and
16 PFASs. We've returned those results. We've reported on
17 summaries of those results in this forum. We're now
18 getting back to some of the exposure work.

19 --o0o--

20 DR. WU: We have also compared the ACE findings
21 to the risk-based categories that were proposed by the
22 National Academies of Sciences, Engineering, and Medicine
23 in the 2022 guidance on PFAS exposure testing and clinical
24 follow up. And as shown, we have a disproportionate
25 proportion of percentage of ACE participants that fall

1 into this category of increased risk of adverse health
2 effects. That's compared with a more general population
3 of the CARE study. You can see that many more of the ACE
4 participants are falling into that higher risk category.
5 So clearly a concern and a priority for us to identify
6 exposure sources for PFAS in this population.

7 --o0o--

8 DR. WU: So Kelly Chen, also from our staff, is
9 currently working with our exposure data to better
10 understand the dietary sources of PFAS exposure. She's
11 been focused on fish consumption habits. We do have very
12 detailed dietary information, which we collected in our
13 exposure questionnaire. The questionnaire was not solely
14 PFAS. There were also questions related to metals, but
15 there were a number of questions related to fish
16 consumption that Kelly is delving into.

17 --o0o--

18 DR. WU: So ACE participants reported eating much
19 more fish more frequently than NHANES participants. They
20 reported a total of 47 different fish species that they
21 purchased, 14 species that they might be catching
22 themselves or their friends and family catching, as well
23 as 10 shell fish species that were consumed. We did
24 incorporate a question about what part of the fish you eat
25 for the ACE 2, the second part of this study. And 84

1 percent of the participants reported eating non-fillet
2 parts of the fish.

3 We don't have a lot of data on PFAS levels in
4 non-fillet parts of fish, but estimates in the literature
5 suggest that the non-fillet parts may be two to ten times
6 higher in PFAS than fillet. So these variation in how
7 much fish you're eating and what parts of the fish you're
8 eating are really important, because the advisories are
9 often based on and provide guidance in terms of fillet.

10 --o0o--

11 DR. WU: So the next steps that Kelly is working
12 on are to identify potential associations with the PFAS
13 serum levels, based on how participants answered questions
14 about fish consumption. So, for example, are there
15 differences in PFAS levels between the participants who
16 ate self-caught fish versus purchased fish? Are there
17 differences in PFAS levels based on what part of the fish
18 you're eating, whether it's the fillet or the non-fillet
19 parts like the head, eyes, and skin? And are there
20 differences based on the habitat of the fish. Fish are --
21 okay. Fish levels are related to where they spend their
22 time. And so categorizing fish by fresh water, marine, or
23 migratory environments is a reasonable approach.

24 --o0o--

25 DR. WU: Kelly has also been looking at the fish

1 consumption advisories. Sixteen states already have a
2 PFAS related advisory, generally focused on PFOS. And
3 there are many states, including California, that are
4 monitoring PFASs and considering guidance. So Kelly has
5 been connected with -- connecting with many different
6 groups, OEHHA's Fish, Ecotoxicology, and Water Section,
7 the Water Board's Surface Water Ambient Monitoring
8 Program, U.S. EPA, San Francisco Estuary Institute, and
9 other researchers who are concerned with this question of
10 safer fish consumption. We're sharing the data that we've
11 collected in ACE and hope that the data collected will
12 result in better understanding of how fish is playing a
13 role in PFAS exposure. We're also hoping that we can feed
14 information back to the communities not just the ACE
15 population, but all communities that rely heavily on fish
16 for nutrition and eat different parts of the fish. So
17 really good work from Toki and Kelly on these projects.
18 They are both getting presented at the National
19 Biomonitoring Conference in January.

20 --o0o--

21 DR. WU: For our most recent surveillance effort,
22 we're working on the Studying Trends in Exposures in
23 Prenatal Samples, that's STEPS. And we've been working on
24 this to estimate population estimates of PFAS exposure and
25 also time trends among pregnant Californians. So in

1 designing the study we've put a lot of effort into
2 thinking what are the time points we want to capture and
3 what counties. And since our last update, we have
4 selected Orange County and Fresno County as the two places
5 of focus.

6 Orange County, we've had evidence of elevated
7 PFAS levels in drinking water from sampling that was
8 collected in 2013 to 2015. Since that time, there have
9 been wells taken offline, there have been some filtration
10 put into place. So it's an opportunity for us to measure
11 the impact that interventions in water quality will have
12 on serum levels.

13 In Fresno, we have relatively little information,
14 both biological and in drinking water, so this data will
15 be a contribution to understanding the PFAS levels in
16 Fresno. The eligibility criteria are nulliparous
17 individuals and healthy singleton pregnancies. So among
18 the available samples we have, we're conducting some
19 random sampling.

20 --o0o--

21 DR. WU: We actually have -- we had a goal of
22 obtaining 500 samples per county evenly spread across
23 those time points 2015, 2018, and 2021. We oversampled,
24 because you never know that's going to happen with your
25 sampling and we have a little bit over 500 samples per

1 county. The samples are in our freezers. We were able to
2 obtain those in June and DTSC is going to start conducting
3 the PFAS analysis using the expanded panel that you'll
4 hear about in just a few minutes.

5 We're still working to establish a prospective
6 sampling from a non-biobank county, if that's still a
7 possibility. And we're working on evaluating some
8 collaborations to really magnify and maximize the impact,
9 what we can learn from STEPS. So we're looking at some
10 additional chemicals and biomarkers that we might be able
11 to measure. We're thinking about potential PFAS exposure
12 sources that we could identify, like drinking water, and
13 also how can we evaluate associations with health
14 outcomes.

15 --o0o--

16 DR. WU: On the lab side of the Program,
17 Environmental Health Lab has been adding to our available
18 methods. We now have a urinary nickel method, VOC
19 metabolites and an updated PAH method. We're going
20 through some final steps of validation. And all three of
21 those new methods will be available to our studies in the
22 coming year.

23 We currently do run VOC metabolites through a
24 private lab, but we're really hoping to bring this work in
25 line shortly, and work is also continuing on the mercury

1 speciation method. So the lab is currently receiving and
2 aliquoting samples from BiomSPHERE and FRESSCA Mujeres.
3 And work has also started on the CARE-LA samples. If you
4 remember, we did a subset of those participants. We
5 biomonitored them for phenols and speciated arsenic. But
6 we'd really like to be able to generate population
7 estimates for both of those panels. So EHL is completing
8 analyses on all CARE-LA participants at this point.

9 --o0o--

10 DR. WU: In the Environmental Chemistry Lab, they
11 have completed the Intra-Program Pilot study, analysis of
12 PFAS in serum and plasma, which Songmei is going to talk
13 about shortly. They do have the thousand plus samples for
14 the STEPS study they're about to embark on and they are
15 continuing to work to extend the panels that our Program
16 can measure. So they're working on a PAH method in serum
17 as well as siloxanes in serum. And there's some initial
18 stage of development for a total fluorine method first for
19 use in products and environmental media, but eventually we
20 hope to have this available for biomonitoring.

21 --o0o--

22 DR. WU: And getting the word out on all of our
23 projects is the outreach and communications group and
24 they've been focused on producing fact sheets and other
25 material for different audiences. The two fact sheets

1 shown here are nearing completion. One is focused on
2 arsenic in rice, which I think we talked a little bit
3 about last time. It's currently in a testing phase
4 working with key informant interviews and focus groups to
5 ensure that the language is accessible and understandable.
6 And the other is focused on our study of how flame
7 retardant levels change with foam replacement in your
8 home. And that's also in development. It will be a
9 companion piece for a scientific publication on the FREES
10 Study.

11 --o0o--

12 DR. WU: The CARE Study report, which has
13 detailed -- details study methods as well as our results
14 has just been approved for distribution. This is the
15 first time our program has put together such a
16 comprehensive report like this on a study, it will undergo
17 remediation and some translation. And then we'll be
18 releasing the report and also holding a public meeting to
19 present the results in early 2024. We do already have a
20 two-page graphic summary of findings both in English and
21 Spanish, and that's already posted on our website.

22 --o0o--

23 DR. WU: The outreach group also tracks
24 legislation that might impact or be impacted by our work.
25 AB 496 Cosmetic Safety legislation has just been signed

1 into law. And it's going to prohibit the distribution of
2 personal care products that contain certain ingredients.
3 There are 12 ingredients that are on the list for 2025 and
4 an additional 26 ingredients that will be banned starting
5 in 2027. So some of the ingredients mercury, parabens,
6 phthalates and some PFASs, which are on the list, are
7 things that we have historically measured. We don't
8 currently have surveillance projects that measure any of
9 these chemicals with the exception of PFASs, but we're
10 always looking for opportunities to monitor changes in
11 exposure in the population as legislation is enacted.

12 --o0o--

13 DR. WU: And finally, the outreach group has been
14 completing a series of interviews, soliciting feedback on
15 the impact of our program. How's their data being used?
16 Are the fact sheets, or questionnaires, or other materials
17 we put together, are they being accessed and used? And
18 are there things that the Program should be taking a look
19 at?

20 We've just completed 15 years as a program,
21 Biomonitoring California. So in part of observing this
22 mark in time, we did want to get feedback from
23 collaborators, advocates, and other partners on their
24 thoughts about the Program. So some of the findings from
25 these interviews will be included in the 8th Legislative

1 Report, which is what we're working on now. Results may
2 be presented in this forum or as part of a 15-year
3 celebration for the Program.

4 But ultimately, I think the results will also
5 trigger discussion, both within the program and with our
6 partners, about how we move forward for the next 15 years.

7 And with that, I will turn it back to McKenna.

8 The microphone is -- Songmei just pay attention,
9 the microphone is kind of sliding around. Make sure you
10 can speak into it.

11 (Thereupon a slide presentation).

12 CHAIRPERSON SCHWARZMAN: I want to take a moment
13 to introduce our next speaker. I think we have questions
14 after these two presentations. We're going to hold them
15 for just a minute.

16 Okay. Songmei Gao is a Research Scientist III at
17 the Environmental Chemistry Laboratory at the Department
18 of Toxic Substances Control focusing on PFAS analysis in
19 biomatrices. She will give an update on the methods for
20 analyzing an extended number of PFAS in human serum and
21 plasma.

22 DR. GAO: Okay. Good morning, everyone. I am
23 Songmei from ECL Lab of DTSC. I'm so glad to have the
24 opportunity to introduce our work about the extended list
25 of PFAS analysis.

1 --o0o--

2 DR. GAO: So here is the outline of my
3 presentation. So after I introduce the background of
4 method development and how we developed the method, I will
5 discuss its application to IPP7 study. So it's kind of
6 the last step of method validation. So we also have a
7 recommendation for a future study based on the IPP7 data.

8 --o0o--

9 DR. GAO: So PFAS are a large group of chemicals.
10 I list some PFAS on the right side. We can see, although
11 all they have at least one carbon-fluorine bond, their
12 structure can be very different. So there are thousands
13 of PFAS in the world. Previous biomonitoring methods are
14 available only for a few of them, typically, just the most
15 persistent legacy compounds, such as PFOA, PFOS. So
16 driven by the regulation, longer chain PFAS were phased
17 out, so more emerging compounds are used such as the short
18 chain PFAS, and the -- some telomers and ether acids, et
19 cetera. So Gen-X, ADONA and F53B are the key emerging
20 replacements, but -- because of the analytical method

21 So there's not enough knowledge about those human
22 exposure to this replacement. So beside that, our
23 previous method applied only to serum sample analysis. So
24 right now, there are more demands for plasma sample
25 analysis, because the clients only have the plasma sample

1 in their biobank. So therefore, the objective of our
2 study is to establish a sensitivity method. We can
3 include more replacements of PFASs and can be used for
4 human serum and plasma sample analysis.

5 --o0o--

6 DR. GAO: Here's the history of the method of
7 development for PFAS in ECL Lab. So in 2009 ECL Lab
8 established the first method to detect 12 legacy
9 compounds. At that time, we called perfluorinated
10 compound, PFC method. So later on our lab developed
11 another method in 2016. So this method was expanded to 32
12 compounds, including some telomer assays. Last year, we
13 developed the current method using the new generation
14 instruments, 6500 system. So beyond the 5500 method, we
15 add another 19 more emerging PFAS to investigate, so they
16 included the short chain PFAS and the Gen-X, ADONA, F53B.
17 The total we investigate 51 compounds.

18 --o0o--

19 DR. GAO: Here's the challenge in the method of
20 development. As we introduced it before, PFAS have
21 diversified structure, so their physical and chemical
22 properties are very different. So it's very difficult to
23 analyze all the compounds in one condition. Even in --
24 for the PFAS with same functional group, short chain and
25 longer chain show different retention in the SPE cartridge

1 and the analytical column. So we screened three different
2 SPE extraction sorbents, DVB, C8, and the phenyl
3 cartridge. So C8 works best.

4 In regarding to the PFAS with different
5 functional groups, the difference among them more obvious.
6 So they have the different optimize the mass spectrometry
7 conditions and source temperatures. So for each sample,
8 we included a quantitation signal, qualification signal,
9 and internal standard channels. So we total need to
10 monitored 126 detection channels for each sample. So we
11 have to compromise the experiment conditions to make all
12 these channels work together.

13 So beside that for the mass spectrometry
14 detection, the more signal into the method, the less
15 sensitivity of it, so it's more challenge.

16 So second challenge is the matrix effect. A
17 significant matrix effect was observed for some compounds.
18 So that signal can be 10 times lower because of the matrix
19 effect labeled internal standard can be helpful while
20 compromise this matrix effect. We have only labeled
21 internal standard 29. Sometimes, the labeled internal
22 standard cannot work all the time. So we can do further
23 cleaning by using the SPE extraction and the LC
24 separation.

25 So another headache for method is the background

1 issue. So PFAS are "everywhere compounds". So we can
2 generally detect the background peaks or some
3 interferences peak. And we have to wash the system
4 periodically and thoroughly. And also we need to screen
5 the high quality solvents. We have to use the LCMS grade
6 solvent.

7 So last the limitation is limited time and the
8 resources including staff. So we have sample for --
9 timeline for sample analysis. So even we want to improve
10 the method more, but we don't have time. So the method is
11 not perfect, yet it is the best for us.

12 --o0o--

13 DR. GAO: So here's the method. So the sample
14 preparation is very simple. Just mix 100 microliter
15 sample with the internal standard and the formic acid and
16 then put them into the system for analysis. We use the C8
17 cartridge for extraction and for UHPLC separation. The
18 analytical method drop the time from 30 to 12 minutes per
19 sample comparing to previous method. So less solution
20 used make this method more greener. So the calibration
21 curve is prepared from 0.01 microgram per ml to 10
22 microgram per ml in bovine serum.

23 --o0o--

24 DR. GAO: So the method was validated. We have
25 in-house QC in bovine at three levels. And also, we have

1 in-house QC in human plasma at two levels. We also have
2 NIST SRM 1958 as a QC. So generally the accuracy and the
3 precision criteria were set as 30 percent. All compounds
4 are -- generally can be within 20 percent. And the
5 linearity R squared, so we set up like a larger than 0.95.
6 Most of our compounds can be larger than 0.99. And also,
7 we tested the stability of this compound. So after the
8 sample stored in freezer at minus 20, most of the
9 compounds are stable more than one year, but these two
10 PAPs have trouble. So we need to do further
11 investigation.

12 So in addition to the -- this QC evaluation, they
13 also attended the international performance test. So they
14 include nine PFAS compounds. So we attended last year and
15 this year, our score were within one. So we specify our
16 results.

17 --o0o--

18 DR. GAO: So here is the IPP7 data. So IPP7 we
19 collect the 36 paired human serum and plasma samples. The
20 purpose of this study is to get information on human
21 exposure to the replacement to PFAS. And also we want to
22 get some information about the relationship of PFAS
23 concentration in plasma and serum. So at this time, we
24 still monitor 51 compounds, but we successfully report 42
25 compounds. So among these 42 compounds, 20 compounds were

1 detected and 13 compounds detection frequency are more
2 than 30 percent.

3 So overall, the serum sample and plasma sample
4 have similar detection frequency. So in the figure, I
5 list the legacy compounds on the left side. We'll see.
6 They still have high detection frequency. For the Gen-X
7 and ADONA, we didn't detect any signal. F53B we detected
8 around 40 percent detection frequency.

9 We also see the little box, the four new PFAS is
10 PFPeS, PFHpS, and PFECHS, F53B major were detected for the
11 first time by Biomonitoring California with a detection
12 frequency of 39 percent to 100 percent. Here, these three
13 compounds, PFHpA, 5:3 FTCA, 8:2 FtS they have lower MDL
14 than previous study. Right now the MDL is 0.01 microgram
15 per ml. And before -- they just lowered the MDL five
16 times than before. So the detection frequency for these
17 three compounds are also higher than previous ACE study.

18 So here's the compound. This is PFBS, a carbon 4
19 PFAS. They keep the same MDL. It is increasing in
20 detection frequency. So this showing industry moving to
21 the short chain PFAS.

22 --o0o--

23 DR. GAO: Here the plot. We compared the median
24 and the range of PFAS concentration in serum and plasma.
25 So only the PFAS with detection frequency are larger than

1 30 percent are plotted. We can see legacy compound PFOA,
2 PFHxS, and PFOS still have the highest concentration among
3 those compounds. Although the four new reported PFAS have
4 the high detection frequency, but their concentration are
5 still pretty low. And also the plasma concentration range
6 we can say is similar to the serum concentration range.

7 --o0o--

8 DR. GAO: Here's the plot to show the example.
9 There are serum and the plasma concentration relationship
10 for these compounds. So the red line is a one to one
11 line. PFAS -- PFOA and PFAS sample distribute just along
12 the line, so their serum and plasma concentration matched
13 pretty well. For the F53B sample, so a little bit away
14 from the one line. So F53B plasma matrix a little bit
15 higher than the serum. So generally, the plasma
16 concentration matched with the serum concentration very
17 well, but for some compound that we still observe some
18 significant matrix effect.

19 --o0o--

20 DR. GAO: Well, in this slide, we want to get a
21 discussion, so released our recommendation for future
22 study. Due to the limited resource, we must work
23 efficient. So the IPP7 study provides some information to
24 answer the tradeoff questions, yes; do we want to know
25 information from more samples, or we want to monitor more

1 compounds? So although there are maybe no signal with
2 observed right now. So now the recommended list based on
3 the QC criteria, detection frequency, and the sensitivity
4 of the signal and also the matrix effect. Although, some
5 key replacement such as the Gen-X, ADONA, and some short
6 chain PFAS, they are not detected now, but we still keep
7 monitoring them. So this we recommended 32 compounds.

8 And also, we noticed that in 2016, the ACE
9 Project have 32 compounds. This different. The blue hat
10 PFAS in ACE we dropped, because they are -- we didn't
11 detect any signal for them. By the way, add this red
12 underline PFAS for future studies.

13 --o0o--

14 DR. GAO: Here is the bring home message: So our
15 new method can be expanded to monitoring list from 12
16 legacy compounds to 42 PFAS include some important
17 replacement PFAS. The method can be used with serum and
18 plasma analysis. So this method also less solvent
19 consuming, faster, and more sensitive for some compounds.
20 So in the paired study, these 20 compounds were detected,
21 among them 13 compounds with detection frequency more than
22 30 percent. So we also recommend 32 compounds for
23 monitoring later and we promise we will keep optimize or
24 improve this method.

25 --o0o--

1 DR. GAO: So here's -- I want to show my thanks
2 to the fine support from the Biomonitoring California and
3 UCSF EaRTH Program. And also appreciate all the IPP7
4 participants and all the people help me and discuss with
5 me and help me to present here.

6 Thank you.

7 (Applause).

8 CHAIRPERSON SCHWARZMAN: We have, excuse me, 10
9 minutes for clarifying questions from both the Panel and
10 the audience. And then we have a discussion -- 30-minutes
11 discussion section. So this is just for clarifying
12 questions.

13 Tom.

14 PANEL MEMBER MCKONE: So this really goes to the
15 first presentation, Nerissa. And it's just a
16 clarification. So in the CARE program, which is very
17 water focused, and in the ACE program, which is again on a
18 specific population, you were talking about the efforts in
19 the ACE program to do questionnaires to really try to pull
20 out a lot of information about the different exposure
21 pathways or sources.

22 And I was just wondering in the CARE program, is
23 there a questionnaire or some way to, you know, figure out
24 do people use dental floss with PFAS? Are they -- are
25 they sports players on synthetic turf? And, I mean, is

1 there some way -- so, I mean, I would give you a little
2 more ability to see confounding kinds of exposures that
3 wouldn't be linked to drinking water. I was just curious
4 if there's some effort.

5 DR. WU: There is. So for the Regional Exposure
6 Study, there was a questionnaire, but it was not as
7 in-depth or as extensive as the ACE questionnaire. So it
8 did touch on diet. And the Boston University
9 collaborators, led by Emily Pennoyer, are looking at
10 dietary factors in conjunction with drinking water and the
11 PFAS levels. And we are looking at other exposure factors
12 for some of the other things we measured in the CARE
13 study. But we don't have the ability to do the same kind
14 of in-depth analysis of fish consumption. There's only so
15 many questions you can ask on a questionnaire and CARE
16 wasn't -- you know, we went into ACE knowing that there's
17 certain dietary factors that we were particularly
18 interested in. And so that questionnaire was particularly
19 focused on it.

20 So there are different questions we can
21 interrogate from those different data sets, but CARE will
22 be -- we will be using the exposure information for CARE.

23 PANEL MEMBER LUDERER: Thank you for all of
24 presentations. So I think my -- let's see, I have a
25 couple of questions. And I think this is for -- regarding

1 the measurement of PAHs that you mentioned in serum. And
2 I was wondering whether you would be able to measure some
3 of the PAHs that can't be biomonitored in urine, because
4 they are excreted into the feces via the bile.

5 DR. WU: I think that's really a question for
6 June-Soo. June-Soo, there's a question about PAHs in
7 serum and the different PAHs that you might be able to
8 pick up in that method.

9 DR. PARK: Yes. The -- so we don't want to
10 overlay with the urinary PAH analysis, but we had expert
11 joined our group from UCLA. So she measured air samples,
12 137 PAHs, most of the -- she was interested in the
13 non-targeted PAHs in the blood. So basically, what we
14 trying to do is to what else -- what else PAHs the people
15 got exposed in the California population. So that's what
16 our aim is, yep.

17 PANEL MEMBER LUDERER: Yeah. I was particularly
18 curious about of some of the high molecular weight PAHs
19 that you don't --

20 DR. PARK: Exactly. Exactly.

21 PANEL MEMBER LUDERER: Yes. Right. Okay.

22 DR. PARK: Exactly.

23 PANEL MEMBER LUDERER: Okay. Thank you.

24 And then there was another question related to
25 the PFAS in fish and whether you have any information

1 about like the fat content of the fish and whether that
2 affects the PFAS levels in the fish and the biomonitoring
3 results?

4 DR. WU: Well, that's an interesting question. I
5 don't know if Kelly Chen is probably online if she wants
6 to raise her hand and say something about this. At this
7 point, I don't think we have looked at fat content of the
8 fish. Kelly, do you have something to add?

9 MS. CHEN: Hi there. This is Kelly. We haven't
10 looked into that, but that's a great question. I know
11 that PFAS doesn't bioaccumulate in fat tissue similar to
12 other chemicals, but I can look more into that.

13 DR. ATTFIELD: But part of that questionnaire
14 does ask about the frequency of different types of fish
15 that they consume, so we are able to maybe segment out the
16 different types of fish by different protein to fat
17 ratios, so it's an interesting point.

18 Thank you.

19 CHAIRPERSON SCHWARZMAN: Other clarifying
20 questions from the Panel.

21 Yes, Jenny.

22 PANEL MEMBER QUINTANA: Hi. Jenny Quintana.

23 I had a couple clarifying questions I guess for
24 Nerissa at first. One was that you talk about looking at
25 eating non-fillet fish parts for the PFAS, but can you

1 just remind if you did that for mercury as well.
2 Previously looked at mercury levels in blood related to
3 the non-fillet fish parts, because I know there's some
4 literature about that and I was curious. And I'm sorry if
5 already reported that. I don't recall.

6 DR. WU: No. Actually, we have looked at -- I
7 believe we have looked at fish consumption -- just
8 frequency of fish consumption and mercury, and then just
9 the comparison of people who had met a level of concern in
10 the ACE population compared to the general population.
11 But one of the things that our new staff is enabling us to
12 do is to go back and look in more detail at some of these
13 exposure issues. So that's a good point to get back to
14 the mercury issue with fish parts.

15 PANEL MEMBER QUINTANA: Great. And then you
16 mentioned the STEPS Study. And again, I apologize. I
17 think you've probably presented this before, but can you
18 just explain the selection criteria and rationale again?

19 DR. WU: The selection of the counties or --

20 PANEL MEMBER QUINTANA: Of the subjects. I think
21 it was nulliparous and the healthy singleton.

22 DR. WU: Yes. So nulliparous in part because
23 previous child birth or breast feeding will have a lot
24 of -- will impact your PFAS levels. And so we stuck with
25 nulliparous, so that -- there had been no other live birth

1 or breast feeding in the past, just to sort of make our
2 population a little bit more uniform.

3 Singleton pregnancies, there's some concern that
4 like blood volume might also impact your PFAS levels, so
5 if you have multiple pregnancies -- a multiple pregnancy
6 that might be another impact, and healthy pregnancies just
7 again to try to make our population as uniform as
8 possible, so we don't have other confounding -- other
9 impacts on PFAS levels that we can't take into account.

10 PANEL MEMBER QUINTANA: So the instruction
11 criteria is either nulliparous, or singleton, or are you
12 trying to balance the two or --

13 DR. WU: So it has to be all three of those
14 things, nulliparous --

15 PANEL MEMBER QUINTANA: I see.

16 DR. WU: -- and singleton pregnancy.

17 PANEL MEMBER QUINTANA: I see. So the first
18 pregnancy. So all these people are --

19 DR. WU: Yes. Yes.

20 PANEL MEMBER QUINTANA: Okay. So you -- I mean
21 you take them at a certain point in the pregnancies. Is
22 it 14 weeks or 16 weeks, I forget?

23 DR. WU: It's anytime during the second
24 trimester. So this is using the biobank samples that are
25 collected by the Genetic Disease Screening Program.

1 PANEL MEMBER QUINTANA: Okay.

2 DR. WU: So their second trimester is between 14
3 weeks zero days and 20 weeks zero days I believe.

4 PANEL MEMBER QUINTAN: Okay.

5 DR. WU: So any time during that point a woman
6 will come in for her second trimester screening and those
7 are the -- those are the samples that are -- that are
8 available to us to be biobanked.

9 PANEL MEMBER QUINTANA: And can you remind me,
10 it's serum, correct, not plasma?

11 DR. WU: It's serum, that's right.

12 PANEL MEMBER QUINTANA: Okay. I thought about
13 that for the last presentation.

14 I have more questions, but I'll wait for others
15 first.

16 CHAIRPERSON SCHWARZMAN: I just want to check
17 about online questions

18 MS. JARMUL: We have a question from Jianwen.
19 Jianwen, do you want to unmute yourself.

20 DR. SHE: Yes. Good morning, everyone. And I
21 like to -- I have a comment with the Songmei's
22 presentation. And congratulations ECL Laboratory,
23 increase the capability and recover almost more than 40
24 analytes of PFAS in last few years.

25 My comment is I see that you mentioned your

1 method suffers matrix effect, which is a good finding. To
2 improve it, we need to verify it's really from matrix
3 effect or from the spike standard be lost. So I think
4 your discovery is through the comparison of the response
5 of the standard spike into solvent, and then how much
6 standard recovery in your samples. And with this
7 comparison alone, we cannot verify the matrix effect. So
8 my question is did you do a post-sample preparation
9 standard addition to verify this loss of the response is
10 from either your C8 column lost the analytes or is it
11 matrix effect?

12 DR. GAO: Thank you. So the question is is this
13 online extraction method. So it's not offline SPE method.

14 DR. SHE: Yes.

15 DR. GAO: So it's not --

16 DR. SHE: You cannot do a -- you cannot do a
17 post-sample preparation addition to verify, is that what
18 you say?

19 DR. GAO: Yeah, it's different from normal SPE.

20 DR. SHE: I under -- sorry, I understand that
21 part. I think the after online preparation if you move
22 that Y out to do a post-sample preparation addition, you
23 may -- can distinguish, which is your CHE lost or the
24 matrix effect, because regardless the online or offline,
25 the test procedure is the same.

1 We might talk after that unless someone like
2 June-Soo wanted to add something --

3 DR. GAO: So see I think I have some data. I
4 didn't calculate that. So the reagent still passed the
5 online SPE procedure. So this -- I think this is the
6 matrix effect.

7 DR. SHE: Okay. Thank you very much. Thank you.
8 Other questions?

9 Yeah, Oliver and then I'll come back to Jenny.

10 PANEL MEMBER FIEHN: Yes. I wanted to stay with
11 the second presentation on the analytics. I've seen that
12 you use 100 microliters plasma or serum and you inject 50
13 microliters later on of the re-suspended solvent, I guess,
14 or your overall injection was 50 microliters after. I had
15 wondered what happens to the plasma lipids. So when you
16 use solid-phase extraction, you extract very lipophilic
17 compounds. That includes PFAS, but it also includes
18 triglycerides and all sorts of lipids that are very
19 abundant in plasma. So I'm a little worried that you do
20 not appear or -- I understand that you inject them
21 together, the lipids and the PFAS together, instead of
22 using a cartridge that are available on the market that
23 specifically removes lipids. Such cartridges have been
24 published in a EHSB. And I wonder if you have tried them
25 or thought about these fatty acyl removal kits.

1 DR. GAO: No. So this method is still the online
2 extraction. So we do the online SPE extraction. So it's
3 cleaning a little bit. And also we can try to separate
4 them from the LC separation. So I know sometimes they
5 still have trouble, so that's why I reported some, you
6 know, matrix effect, but we still can improve. Yeah.
7 This one we use the online extraction, because there are
8 less manual involved, probably less contamination, yeah.

9 CHAIRPERSON SCHWARZMAN: Jenny.

10 PANEL MEMBER QUINTANA: This question is for
11 Nerissa again. I remembered the second half of my
12 question about the STEPS Study.

13 DR. WU: Great. If I could just correct my prior
14 answer. It's 15 weeks zero days to 20 weeks zero days is
15 the second trimester for GDSP sampling.

16 PANEL MEMBER QUINTAN: Thank you.

17 DR. WU: Sorry. I misspoke earlier.

18 PANEL MEMBER QUINTANA: I guess my question was
19 excluding subjects without -- with a -- your criteria is a
20 healthy preg -- a healthy pregnancy and then the healthy
21 baby, so you're determining that, is that right, or just
22 the healthy pregnancy?

23 DR. WU: It -- well, healthy pregnancy as defined
24 in the GDSP world, so it's a pregnancy without a screen
25 positive for one of the --

1 PANEL MEMBER QUINTANA: I see.

2 DR. WU: -- one of the things they're screening
3 for.

4 PANEL MEMBER QUINTANA: I see. Okay. I wasn't
5 sure exactly what that meant. I want to make sure you
6 weren't excluding certain populations.

7 And then just curious about age. It seems like
8 this kind of -- these chemicals are going to be more and
9 more age dependent as they enter the food chain and
10 bioaccumulate and stuff. And I'm just curious if you have
11 a -- also an age range criteria, because if you don't, you
12 might be biasing towards certain populations or what have
13 you, so I was just curious about that.

14 DR. WU: Sure. Well, they're pregnant
15 individuals, so there is some age bracketing --

16 PANEL MEMBER QUINTANA: Okay.

17 DR. WU: -- by that. And I think we did apply
18 age bracketing. Dina, do you want to answer this
19 question? But there were certain other criteria just for
20 kind of bracketing our population a little bit and --

21 MS. DOBRACA: Dina Dobraca, California Department
22 of Public Health employee and Biomonitoring California
23 staff. So for STEPS just to explain healthy pregnancies,
24 we do not have access to they're called registry cases.
25 When they screen positive, those are staged for

1 individuals who are asking specific research questions to
2 understand the etiology of a disease. So that's -- that's
3 why that criteria is there.

4 And then the -- we use the California birth
5 record for the year as our sampling frame for this study.
6 And within the counties that we selected, we excluded
7 pregnant individuals under the age of 15 and pregnant
8 individuals over the age of 45. And in those counties,
9 those are very few exclusions, but we did band the age
10 range to that age range. We also exclude people who are
11 missing age just to sort of get around data entry issues
12 or missing data. So there's a little bit more eligibility
13 criteria than was listed in the slide just to make sure we
14 had complete data on the individuals who were selected.

15 CHAIRPERSON SCHWARZMAN: If we're done with
16 clarifying questions, including from online, Stephanie --
17 yeah. Okay. Then we get to move into our discussion
18 section. And this can be input from the Panel and also
19 from audience or online attendees about the program
20 updates that were just presented.

21 You want to start us off? Tom, go ahead.

22 PANEL MEMBER MCKONE: Just this -- I thought it
23 would be useful to start addressing the question about,
24 you know, does -- the question with PFAS compounds with
25 the ability to sample so many. The question came up about

1 so do we do more samples of more compounds? I mean, do
2 all the compounds on fewer samples because you can't
3 really do both. And I thought it's interesting to
4 consider if it's possible to sort of -- and I think it's
5 already happening, this sort of staging through the first
6 set of samples, which is not a lot, but for every compound
7 and then screen out the ones that really aren't showing
8 up. And then when that set is developed, then do more
9 people, right, and fewer PFAS compounds.

10 If you could exclude the ones that -- like are
11 below 10 percent detection, it's probably not worth it to
12 go out and do a large number of people for every compound
13 and exclude those.

14 Again, I think this came up, but I actually think
15 it's a good idea to try and do that staging. And it might
16 be a useful cost-effective way to get a lot of
17 information.

18 CHAIRPERSON SCHWARZMAN: I had a similar kind of
19 thought and maybe we could turn it to Program staff
20 actually as a question of like is that a reasonable
21 response to the question? Like does that get at the
22 resource constraint that you're talking about or do we
23 really have to make a choice between number of samples and
24 number of analytes? Like, I would choose range of
25 analytes, but this hybrid approach sounds really useful to

1 me if it still accomplishes that streamlining function
2 that you're asking about.

3 DR. WU: Well, I'll have Songmei and June-Soo get
4 into the details of this, but that is essentially what
5 we're doing with the STEPS. We're -- as Songmei
6 described, there are many more compounds that they could
7 identify, but the time to verify all the peaks of ones
8 that are very, very low detection frequency, is very
9 laborious. And so we're going with a list of 42. We are
10 going to keep an eye on the ones that we are not reporting
11 out for those to see if things are coming up. I mean, we
12 do want to make sure that we're both tracking the time
13 trends of the existing ones, but also looking forward to
14 new things that might be coming up. So it is that
15 balancing act, but that's been our -- that is our strategy
16 going forward for STEPS. Songmei or June-Soo, do you want
17 to --

18 DR. GAO: I say something. Because I think
19 this -- just we have to monitor 126 channel or signal for
20 sample, so if they look at the data based on lack of the
21 study. So we take a long time for the data review. So
22 sample analysis acquisitions very quick. Probably one
23 thing we can finish that would take probably several weeks
24 to look at the data and summarize that, yeah.

25 DR. PARK: This is June-Soo. I primarily also

1 add to what Songmei just explained. It's kind of picking
2 the very -- the compound -- the PFAS compound very low
3 level. It's not the EPA -- the 10 more of compound, it's
4 not like you times two or something like that. It takes a
5 three times, four times more, because you have to
6 differentiate from your noise levels. So that's why
7 the -- we have to come up with the first phase this much
8 and second phase more. Yeah, that's why the Jianwen --
9 Dr. She ask the very valid also same as Dr. Fiehn, because
10 we using the -- you know, pretty much neutral SPE
11 cartridges. So that's not enough to get rid of all the --
12 polar compound like fatty acid, so they do come together,
13 but that's what we got.

14 So Songmei already developed the method using the
15 three more analytical columns. She used the two separate
16 injection, one just -- she just presented it, but the
17 other one is also called phenyl column. She can add six
18 more, right? So but we have to come up with a -- you
19 know, a practical way to, you know, work within resource
20 and kind of outcomes. So that's what I'd like to stress
21 out what Songmei said.

22 Also, the one more thing to add. I forgot
23 important thing. Dr. Amber Kramer, our new biomonitoring
24 scholar, she -- yes, she interested in particularly the
25 more carcinogenic PAH high molecular one, also the

1 metabolites. Also, she's very interested in the markers
2 of wildfire, which California has huge issue, yes.

3 Thank you.

4 CHAIRPERSON SCHWARZMAN: Just to wrap that point
5 up, I guess I would just register that I fully support and
6 I think it's what Tom is saying too that that emphasis on
7 casting a wide net, because it's one of the great services
8 sort of that biomonitoring serves is detecting compounds
9 that we may not know are increasing in prevalence and use.

10 Oliver and then José.

11 PANEL MEMBER FIEHN: Yes. Sorry. Starting with
12 that --

13 CHAIRPERSON SCHWARZMAN: José and then we'll come
14 back.

15 PANEL MEMBER SUÁREZ: José Suárez. I have a
16 question with regards to -- I have a question with regards
17 to some of the newer PFASs that you can measure now that
18 are in -- detectible in a good amount of participants, but
19 at very low concentrations, which was a good amount of
20 them, I think. So my question is how much do we know
21 about some of these that you're measuring now, the
22 prevalence of these in vacutainer tubes in cryovials as
23 potential sources, which are not real sources of
24 exposures?

25 DR. PARK: Yeah, sure. That's why we always try

1 to stick to the cryovial we tested in the past. Sometimes
2 it's not always like that, you know, the -- without
3 our involvement in the samples collected from, you know,
4 the Biobank. That's why the -- in that case we try to
5 also test cryovials they used. They should -- their low
6 background levels coming out leaching out from the
7 containers, yeah. That's what -- we do our best to
8 minimize all the background interference. Yeah, thank
9 you.

10 PANEL MEMBER FIEHN: So I have two related
11 question. One is about the internal standards. If I
12 understood correctly, you only have one internal standard.
13 And that is, of course, not much to, you know, have
14 analysis of very polar and very non-polar PFAS and PFOS.
15 So the question is are there additional initiatives to --
16 you know, maybe with industry -- with chemical industry to
17 look at more surrogate standards established.

18 Second, I would very much advocate that any
19 analyses that are done would contain community standards
20 like NIST SRM 1950 as another control to make sure that in
21 the future we can rely -- relay back sort of we are
22 missing standards now or we want to advant -- advance our
23 methods, we would know what we have missed in the past.
24 So that's on the analytical side.

25 On the data analysis side, I had wondered a

1 little bit, similar to the questions before, can we use
2 the classic high abundant PFAS as a canary in coal mine to
3 get the idea of total PFAS in a specific subject or is it
4 so that the new PFAS you mentioned those that are coming
5 from industry are unrelated, so you did not correlate it
6 to the classic ones. So that's why we would need to
7 really have as many as possible to detect those, because
8 maybe sources might be different. So these are two
9 different but related questions, I guess.

10 CHAIRPERSON SCHWARZMAN: Other --

11 DR. PARK: Yeah. Dr. Fiehn, thank you again.

12 There is, I think, some misunderstanding. To my
13 understanding, we have many internal standards that
14 possible. So this is -- Songmei's method, the new method
15 we use that almost the equivalent to the isotope solution
16 method, which is still golden standard in the analytical
17 chemistry. So that's the first question.

18 The second question is kind of a lump sum all
19 together. That's kind of very controversial all the time.
20 That's why I think Nerissa -- Dr. Wu did you keep some,
21 you know, verbiage in your slide -- yeah, yeah. So
22 basically that -- the way we like to screen first -- you
23 know, right now, we are -- we have combustion ion
24 chromatography instrument can measure total fluorine. So
25 what also we -- we both purchased that instrument to

1 support our Safer Consumer Products team, so carpeted work
2 the initiatives, you know, for PFAS. And right now we are
3 very close to the -- screening all the treatment spray
4 from the Scotchgard whatever, you know, the commercially
5 available treatment spray for, you know, your textile,
6 carpet, and rugs. That's where we are right now.

7 Next method we want to develop is the food
8 packaging. So it's -- we're getting data to measure -- to
9 get some idea what kind of total fluorine level we expect.
10 And also we got that -- we have a significant enough
11 levels. We try to move to the comprehensive analysis and
12 looking at the individuals. We're not going to stop
13 there. We also screened by the non-target analysis,
14 because we do have some important PFAS database that right
15 now Dr. Miaomiao has about 600 PFAS. If it's not enough,
16 we're going to screen by the U.S. EPA chem dashboard that
17 they have. To my recollection, they have 12,000 PFAS,
18 based on their data. So that's where we are right now.
19 Yep.

20 DR. ATTFIELD: Hello. Kathleen Attfield,
21 Biomonitoring California, CDPH. In answer to your
22 question about PFAS profiles, we're very interested in
23 looking at profiles and for populations over time, but I
24 don't think we can use the legacy compounds as sort of
25 canaries in the coal mine, though that would be great,

1 because of the shift in PFAS manufacturing, both in the
2 United States and abroad, that there's just different --
3 yeah, different profiles of PFAS used in products, but --
4 and especially with the long half-life of the earlier
5 PFAS, we see those declining in our population -- in our
6 populations here in the United States and in California,
7 but we are concerned about the other ones beginning to
8 accumulate more being -- showing up in different ways.

9 CHAIRPERSON SCHWARZMAN: I have a question for
10 Nerissa about the response to the cosmetics safety
11 legislation AB 496. And I'm just thrilled to hear -- I
12 know this is something that we've talked about a lot as a
13 Panel and the Program is very interested in trying to
14 track impact of new policy. And I was hoping you could
15 expand on that just a little bit to tell us what you're
16 considering and where you have baseline data. As someone
17 who has tried to use biomonitoring data to look at the
18 impact of policy, there's that real bind of comparing two
19 points in time when the data were gathered for different
20 purposes and in different ways. And I'm just curious what
21 the prospects are for looking at that?

22 DR. WU: Well, I did hesitate about putting that
23 slide up there, because I knew it would spark an optimism,
24 which I mean I -- we don't have a plan right now. We only
25 have serum for our surveillance currently. We are

1 considering other potential sources of surveillance
2 samples, but this is far down the road. But yeah, a lot
3 of the things we're interested in tracking are urinary
4 metabolites, and we can't -- we can't do that through our
5 current STEPS Project.

6 So it's all -- you know, we're always looking for
7 opportunities if there's something we can -- another study
8 that we can join into, so that we can get access to those
9 samples. We have the lab methods and the will to do it.
10 We just don't have the projects set up right now. So
11 totally open to hearing some possible collaborations we
12 might be able to form.

13 CHAIRPERSON SCHWARZMAN: And the pro -- what
14 you're talking about is needing baseline levels for the
15 equivalent chemicals that you want to monitor in the
16 future post-legislative implementation.

17 DR. WU: Right. I mean, in surveillance, we
18 really want to think about what population we're gathering
19 samples from and in what way, because it's -- you know,
20 convenient samples are useful for some things, but if
21 you're really looking for time trends, we would want to
22 have a pretty broad general population sampling, so that's
23 harder to come by. But yeah, for phthalates, parabens,
24 and it would be urinary mercury that we'd be interested
25 in, we'd really need to have urine.

1 CHAIRPERSON SCHWARZMAN: And CARE doesn't give
2 you what you --

3 DR. WU: Well, we do have urine from -- we do --
4 we have the samples from CARE from 2018 and 2020, and we
5 will -- we're hoping to have this population basis for
6 phenols levels for CARE-LA. So that could be used as a
7 baseline. It's not a true population survey, but it's
8 pretty close. And so we could use that as a comparison,
9 but there -- there are lots of other things changing over
10 time. And so if we were really going to do temporal
11 trends with those, we would have -- want to have a robust
12 surveillance methodology looking year after year as these
13 legislations go into effect.

14 CHAIRPERSON SCHWARZMAN: Is there any possibility
15 of returning to those CARE participants?

16 DR. WU: We did not write that into our IRB. I
17 think we do have the potential to talk about study
18 information in general. So if we wanted to talk about
19 other work Biomonitoring is doing, we could broadcast that
20 out to all participants. But no, we don't have permission
21 given our current consent to go back for additional study
22 work.

23 CHAIRPERSON SCHWARZMAN: Or to go back and
24 request new samples? That would have to be a new --

25 DR. WU: Right.

1 CHAIRPERSON SCHWARZMAN: Thank you. That's
2 really helpful. It's an exciting opportunity.

3 Jenny.

4 PANEL MEMBER QUINTANA: Hi. Jenny Quintana. I
5 want to echo how important it is to document the positive
6 effect of policies. It's such a powerful tool and support
7 for passing these kind of policies. Like you said,
8 it's -- it would be a very helpful and useful outcome of
9 California Biomonitoring. I mean, everyone has seen that
10 wrap of children's blood lead dropping after they banned
11 leaded gasoline and unleaded fee. You know, it's a very
12 powerful graphic. It just -- you know, get the lead out
13 of gas and, shoom, you know, it goes down in the kids
14 blood.

15 And so I think I talked about it before trying to
16 do that for diesel. You know, markers of carcinogens in
17 diesel will be very powerful as we went to clean diesel to
18 get that kind of documentation. Again that's urine, like
19 you said.

20 But it also made me think it's also very
21 important to look at disparities. So when the flame
22 retardants were -- certain ones were banned. You know, I
23 think it was Ami Zota that had the paper showing that it
24 was lower income participants that remained exposed to
25 these more legacy compounds in older furniture and homes

1 and stuff like that. And people did not have the
2 advantage of the new compounds as quickly as person's that
3 were nor disadvantaged. And so I think it's also useful.
4 I don't know if -- what data you have on any indicators of
5 being disadvantaged. But I think it's important to
6 continue to document disparities as well, if you can.

7 CHAIRPERSON SCHWARZMAN: One other thought that I
8 have, and I'm sure you all have thought through this also,
9 so forgive me if I'm just mentioning things that you've
10 already talked about internally, but is -- you know, I
11 know that when you do a study in any particular population
12 in California, you often also compare it to NHANES
13 biomonitoring levels. And I am just wondering if there's
14 the potential to use that comparison to be able to use
15 NHANES biomonitoring data in the past as baseline and make
16 some extrapolations based on the relationships you've seen
17 between California levels and NHANES levels for particular
18 substances in isolated studies. It would -- it would
19 require a lot of caveats for samples taken under different
20 circumstances and things like that, but I'm wondering
21 about being able to draw on biomonitoring data.

22 It's certainly something that we looked at, you
23 know, in looking at the impact of Prop 65 is trying to dig
24 out California data, which you can do going to great
25 lengths working with the RDC. But, in fact, because of

1 the influence of California's economy, you know, we
2 weren't sure that we were actually seeing big differences
3 between California and the rest of the country, because
4 they change product lines for the whole country. They
5 don't make separate product lines for California.

6 So in that sense, you know, we sometimes can see
7 things at the national level that we would expect, you
8 know -- that reflect California laws. Whereas, looking at
9 biomonitoring data on carcinogens associated with diesel,
10 we do see the regional differences. Because the -- you
11 know, either -- not because of the clean diesel
12 necessarily, but because of emissions controls, those
13 really do only happen in California or in other states
14 that have copied California's requirements.

15 And so there, you can actually see regional
16 differences. But where it's product marketing, you know,
17 like changing a product line or eliminating a toxic from a
18 product, it's so much harder to -- you know, you're not
19 necessarily going to pull out the regional differences,
20 because of how the products are changed, yeah.

21 Anyway, just a thought.

22 We -- we're at time. It's -- I didn't make an
23 explicit call for public comment during this time. Has
24 there -- anything come in, Stephanie?

25 MS. JARMUL: Yes. Jianwen, still has his hand

1 up. Jianwen, did you want to quickly ask a question.

2 DR. SHE: Yeah. This is clearly the same
3 comment. I follow Dr. Oliver Fiehn's concern about
4 method, but June-Soo and Songmei, they're the expert. The
5 questions ask how many standards, how many quality -- how
6 many NIST PT program or quality assessment program, which
7 is really how many analyte included in that analysis we
8 evaluated.

9 I kind of express my concern in the strategy,
10 because program try to depend on which action to move.
11 It's very important. That's maybe -- also Songmei and
12 June-Soo mentioned that only 10 percent of recovery into
13 the standard, which is the golden standard method. But
14 when you have absolute recovery is so low, that golden
15 standard method compensate the loss of matrix effect down
16 to facts. And so with that one, I am -- reason my concern
17 and then maybe just for Program to consider, which analyte
18 we really for sure we know at least, which analyte we have
19 only 10 percent of absolute recovery, regardless the
20 matrix effect we lost.

21 I think document this one is very important step
22 to move on, because I made a lot scientific mistakes in my
23 life. I find PBDF. I think PBDF -- I think I count
24 verified as PBDE. So I don't -- possibly a lot of popular
25 site, but I -- my better experience when think I find some

1 new compound and teach me the lesson to be conservative.

2 Thank you.

3 DR. GAO: Hi, Jianwen. This is Songmei. So I
4 understand your concern. So I may not introduce the whole
5 procedure clearly, so I talking about the challenges meet
6 all the 51 compounds. It's not the other reported
7 compounds. There are two longer chain perfluorocarboxylic
8 acids that there has not matrix effect. Very bad at the
9 beginning. So we start the extraction cartridge from the
10 DVB. So that's why we change the C8. So C8 the matrix
11 effect, our data improved. So it's better than 10 times
12 drop. There's still half -- probably recovery only have
13 50 percent. So they can pass the validation. So the
14 validation we use the serum -- serum -- bovine serum, so
15 they can pass the validation. But eventually we drop
16 these two compounds in real sample analysis, because they
17 couldn't pass the human serum criteria.

18 CHAIRPERSON SCHWARZMAN: Great. Thank you for
19 that. We're going to break for 10 minutes.

20 DR. SHE: Thank you.

21 CHAIRPERSON SCHWARZMAN: And let's return
22 promptly at 10:38. So we have a 10-minute break now.
23 We'll start right again.

24 (Off record: 10:29 a.m.)

25 (Thereupon a recess was taken.)

1 (On record: 10:39 a.m.)

2 CHAIRPERSON SCHWARZMAN: Okay. We will restart
3 the meeting. I want to introduce Martha Sandy and Meltem
4 Musa. Martha Sandy is the Chief of the Reproductive and
5 Cancer Hazard Assessment Branch in the Office of
6 Environmental Health Hazard Assessment. And Meltem Musa
7 is a staff toxicologist in the Safer Alternatives and
8 Biomonitoring Section within that Branch at OEHHA. Martha
9 and Meltem will be presenting a recommendation to the
10 Panel on the potential expansion of the PFAS designated
11 chemical group.

12 (Thereupon a slide presentation).

13 DR. SANDY: Good morning and thank you. It's
14 great to be here in person with everyone. So I'm Martha
15 Sandy and I'll be starting off this presentation, then
16 handing it over to my co-presenter Meltem Musa. And I
17 want to welcome her to Biomonitoring California, her first
18 meeting with us. So we will be discussing the potential
19 expansion of the existing designated chemical group
20 perfluoroalkyl and polyfluoroalkyl substances or PFASs --
21 to PFASs and other substances with carbon-fluorine bonds.

22 We prepared a document on the potential expansion
23 of this chemical group. And that document is available in
24 the Biomonitoring California website as part of this
25 morning's meeting materials. This document was originally

1 provided to the Scientific Guidance Panel and posted on
2 the Biomonitoring California website in August. This talk
3 will highlight some of the content that is covered in more
4 detail in that document.

5 --o0o--

6 DR. SANDY: So now for some background on the
7 existing designated chemical group. In March of 2015, the
8 SGP recommended that PFASs be added to the designated
9 chemicals list. And later that year, in November, 2015,
10 the SGP recommended that PFASs be added to the priority
11 chemicals list. These listings include chemicals covered
12 in the 2011 publication by Buck et al.

13 For members of the audience, let me explain what
14 designated and priority chemicals are. Designated
15 chemicals are the entire pool of chemicals that can be
16 considered for biomonitoring by the Program. They are
17 designated based on inclusion in CDC's National Report on
18 Human Exposure to Environmental Chemicals Program and on
19 recommendations by this Scientific Guidance Panel for
20 Biomonitoring California. Priority chemicals are those
21 recommended by the SGP as priorities for biomonitoring in
22 California.

23 --o0o--

24 DR. SANDY: Since the addition of PFASs to the
25 designated and priority chemicals list in 2015, there have

1 been a number of presentations and discussions on PFASs at
2 SGP meetings covering a variety of topics. On this slide,
3 I have indicated meetings where PFASs were discussed.
4 Several of these meetings, identified here in the red
5 boxes, have featured invited presentations from
6 researchers on various aspects of biomonitoring and
7 environmental monitoring of PFASs and other organofluorine
8 chemicals or total fluorine in these media. We've also
9 heard presentations on identification of exposure sources
10 and exposure pathways and on pharmacokinetic modeling and
11 more.

12 At the November 2021 meeting, after presentations
13 from Program staff on a analyses of PFAS data from a
14 number of Biomonitoring California studies and
15 presentations from invited speakers on targeted and
16 non-targeted methods, and findings on PFASs, and other
17 organofluorines in biological and environmental samples,
18 and discussions with the Panel, the Panel requested that
19 the Program report back on the PFASs chemical group.

20 At the next SGP meeting in March of 2022, a
21 number of options were discussed, including expanding the
22 PFASs chemical group. The Panel expressed interest in
23 broadening this PFASs chemical group on the designated and
24 priority lists as did other meeting attendees.

25 --o0o--

1 DR. SANDY: This slide was presented in March
2 2022 during our report back on this PFASs chemical group.
3 As you can see, the figure presents various groups of
4 PFASs, different groups of fluoropolymers and
5 non-polymers. And all, I want to make the point, are
6 aliphatic substances. This limitation, the exclusion of
7 aromatic compounds, was pointed out during a report back
8 in 2022.

9 --o0o--

10 DR. SANDY: Well, since 2011, there has been a
11 dramatic increase in scientific research on fluorinated
12 chemicals. And this slide shows this with a number of
13 articles published on PFASs and other fluorinated
14 chemicals plotted year by year from 2011, where
15 approximately 500 articles were published in that single
16 year to 2023, where approximately 2,000 articles were
17 published in that year alone.

18 --o0o--

19 DR. SANDY: As a result of the increased amount
20 of scientific research that has been conducted on PFASs
21 and other fluorinated chemicals since 2011, we now know a
22 lot more about the uses and the sheer numbers of these
23 chemicals in products, the environment, and biota than
24 ever before. This is the result of increased development
25 and application of expanded analyses using both targeted

1 and non-targeted approaches to measure perfluorinated and
2 polyfluorinated chemicals and application of methods to
3 measure total organofluorines.

4 In years since 2011, we also have an increased
5 amount of information on the toxicity of PFASs and other
6 fluorinated chemicals as a result of published
7 epidemiology and animal toxicology studies, as well as
8 findings from mechanistic studies and other NAMs.

9 --o0o--

10 DR. SANDY: So today, the Program recommends that
11 the PFASs designated chemical group be replaced with an
12 expanded chemical group, specifically perfluoroalkyl and
13 polyfluoroalkyl substances and other substances with
14 carbon fluorine bonds.

15 --o0o--

16 DR. SANDY: This slide shows some examples of
17 chemicals containing carbon-fluorine bonds that would be
18 included in the proposed expansion of the designated
19 chemical group. You can see here
20 para-Chlorobenzotrifluoride or PCBTF. It's a solvent. It
21 is used for metal cleaning and in products such as paints
22 and inks.

23 Perfluorotoluene is a solvent. Benzotrifluoride
24 is a solvent. It is also a chemical intermediate used in
25 the production of other chemicals. And the last chemical

1 on this slide (Perfluoropropyl)benzene is available for
2 purchase from multiple chemical suppliers.

3 --o0o--

4 DR. SANDY: Here are additional examples of
5 chemicals that would be included in the proposed expansion
6 of the designated chemical group. 1,1-Difluoroethane is
7 use as a refrigerant, a propellant, and a foam expansion
8 agent. It is also a chemical intermediate in the
9 production of pesticides and consumer products, such as
10 cleaning products and air fresheners.

11 (Difluoromethyl)benzene is a chemical
12 intermediate used in the production of other chemicals.

13 1-Fluoro-4-nitrobenzene is a component in hair
14 dyes. It is also a chemical intermediate used in the
15 production of other chemicals.

16 Fluorobenzene is a solvent and is used in
17 industrial processes such as steel production. It is also
18 a chemical intermediate.

19 And now, I'll turn the presentation over to
20 Meltem.

21 --o0o--

22 DR. MUSA: Thank you, Martha.

23 As a reminder, here are the criteria for the
24 Scientific Guidance Panel uses for recommending designated
25 chemicals. The criteria are: Exposure or potential

1 have been identified as carcinogens and are on the
2 Proposition 65 list as causing cancer include PCBTF, and
3 tetrafluoroethylene. Tetrafluoroethylene is used as a
4 chemical intermediate and to make polymers such as PTFE.
5 Other chemicals that U.S. EPA has identified as Group C,
6 possible human carcinogens, include bifenthrin, fipronil,
7 and ethalfluralin.

8 An example of chemical with endocrine disruption
9 activity is bifenthrin, which has been reported to lower
10 serum testosterone levels in mice. Examples of chemicals
11 that have been reported to cause neurotoxicity include
12 benzotrifluoride, bifenthrin, and fipronil.

13 An example of chemical reported to be immunotoxic
14 is trifloxystrobin, a fungicide. Examples of chemicals
15 toxic to the liver and kidney include benzotrifluoride and
16 fipronil.

17 --o0o--

18 DR. MUSA: The current PFASs designated group
19 dates back to publications such as Buck et al. from 2011.
20 As you know since then, with the proliferation of research
21 published on fluorinated chemicals, we have a greater
22 appreciation of the broader scope of organofluorine
23 chemicals present in the environment and in biota,
24 including humans.

25 At the March 2022 SGP meeting, the Panel

1 expressed interest in broadening the PFASs chemical group
2 on the designated and priority lists, as did other meeting
3 attendees. The current designated chemical group, PFASs,
4 does not cover some important chemicals of concerns.

5 First, we recommend replacing the current
6 designated chemical group with the expanded chemical
7 group, PFASs and other substances with carbon-fluorine
8 bonds. Justification to expand the chemical group include
9 the observation that the carbon-fluorine bond is extremely
10 strong. As such, substances with carbon fluorine bonds
11 are persistent, and once released into the environment, it
12 is an ongoing long-term potential for exposure.

13 As briefly presented here and discussed in more
14 detail in the document prepared for the potential
15 expansion of the chemical group, several chemicals in the
16 expanded group have been tested for toxicity and caused
17 adverse health effects such as cancer, liver and kidney
18 effects, and neurotoxicity. Expanding the chemical group
19 is a resource-efficient approach. It will facilitate use
20 of non-targeted laboratory screening methods for chemicals
21 with carbon-fluorine bonds and identification of emerging
22 chemicals of concern.

23 Expanding this group will give the Program the
24 flexibility to choose to biomonitor for additional
25 substances with carbon-fluorine bonds of potential health

1 concern and be responsive to market shifts in use.
2 Importantly, just because we can measure any chemical in
3 designated chemical group does not mean we must or we will
4 monitor for it. For example, as discussed in several
5 previous SGP meetings, we can purposely decide not to
6 monitor for pharmaceuticals.

7 This slide concludes our presentation. Thank you
8 for your attention.

9 CHAIRPERSON SCHWARZMAN: Thank you very much. We
10 have 10 minutes -- so just to say how this next chunk of
11 time is going to go before the end of the meeting, we have
12 a moment here for clarifying questions from the Panel.
13 And then we have time both for public comment and then
14 Panel deliberation and recommendations to the Program.

15 So let's start with clarifying questions about
16 this presentation.

17 Yes, Tom.

18 MS. JARMUL: One moment, we may have just gotten
19 disconnected.

20 (Technical difficulties.)

21 MS. JARMUL: Well, it seems like everyone online
22 can see and hear us, so I think it might just be a problem
23 with this screen.

24 (Laughter).

25 MS. JARMUL: I think we can continue while we try

1 to work that out.

2 CHAIRPERSON SCHWARZMAN: Okay. Thank you

3 So clarifying questions. Yes, Tom.

4 PANEL MEMBER MCKONE: So that was a very useful
5 and informative presentation. Thank you. And the
6 question I have just goes to -- and again, we agreed many,
7 many years ago, right, that exposure potential is a very
8 important factor. And given that the fluorine bond -- the
9 carbon-fluorine bond is very strong, these are probably
10 almost all likely to be very persistent chemicals, right?
11 They don't degrade well in the environment. So
12 persistence is actually the best indicator of the
13 potential for human exposure. They're one chemical
14 property you could pick. I actually wrote a paper about
15 this. But it is -- it is a -- but it demonstrated it.

16 So the only other factor would be quantity. And
17 I would think that probably we'd just -- knowing these are
18 persistent, the next criteria would -- well toxicity, but
19 in terms of exposure, the level of production. And that
20 may be changing and going up or down, but that would
21 probably be -- because it's almost certain that they -- if
22 they are produced, they will be in the environment and
23 they will be in the environment for quite a while, the
24 question is at what level.

25 Anyway, just a -- kind of a thought or maybe you

1 wanted to comment on whether that's -- that approach.

2 DR. SANDY: Thank you for your comments and yes.
3 It's hard to find production level information for all
4 the -- you know, these chemicals. It's also hard to find
5 use information for all these chemicals, but that's
6 something we can continue to look for, but I think being
7 able to biomonitor for them will also be important.

8 CHAIRPERSON SCHWARZMAN: Any other clarifying
9 questions for the presenters?

10 MS. JARMUL: Carl has his hand up.

11 CHAIRPERSON SCHWARZMAN: Carl.

12 PANEL MEMBER CRANOR: Pardon?

13 CHAIRPERSON SCHWARZMAN: Now, we can hear you.

14 Oh, Carl, we were -- sorry. Your hand was up for
15 a clarify questioning, is that right?

16 PANEL MEMBER CRANOR: I do. I agree with what
17 Tom said. And I wonder if there's any indication that
18 these myriad substances have undergone any kind of testing
19 or careful screening before entering commerce? Like my
20 guess is that they probably haven't because of the
21 structure of their law. So we're playing catch-up. And
22 this provision of -- under the Biomonitoring Program,
23 provides a slight way to do something about that, not a
24 lot, but something. Any ideas about careful screening or
25 legal testing?

1 CHAIRPERSON SCHWARZMAN: Tom has a response.

2 (Laughter).

3 PANEL MEMBER MCKONE: Well, no. Carl, that's a
4 really good point is the U.S. Doesn't have a requirement,
5 but the Europeans do. And one place to probably look
6 for -- probably not production information, but more
7 details about toxicity, because in Europe you can't -- you
8 know, you have to have -- you have to go through the
9 screen through REACH. And if you don't, you can't produce
10 or use the chemical.

11 PANEL MEMBER CRANOR: Right. But how much of
12 that influences what's around us? I don't know.

13 CHAIRPERSON SCHWARZMAN: And just to modify that
14 a moment, the data requirements are all tiered by tonnage
15 band. So if you're not producing a lot of it in Europe,
16 you don't have to provide health effects data, right?
17 Like the health effects data doesn't come in until the
18 higher tonnage bands. So that may not actually help us
19 for the emerging chemistries as much as we wish it did.

20 PANEL MEMBER CRANOR: Right.

21 CHAIRPERSON SCHWARZMAN: Oliver.

22 PANEL MEMBER FIEHN: Yeah. Thank you. It was
23 good, but I -- you know, we have discussed these
24 expansions of the Program many times in the past. And
25 often, there was a very -- a lot of literature that

1 supported this. So here, although there are apparently
2 2,000 publications a year, or something, on PFAS in
3 general, I found the information on production current
4 exposures, current knowledge of toxicity a little lacking.
5 I do understand what Tom said in terms of, in principle,
6 if something is persistent in principle, it can be found,
7 and in principle we can be exposed.

8 But I thought that the evidence provided is not
9 very strong, compared to other chemicals we have seen in
10 the past. So the other thing is, you know, we mentioned
11 earlier this morning that there are already in the ChemTox
12 dashboard off the U.S. EPA, 12,000 compounds listed with
13 fluoroalkane bonds. I wonder at which point it becomes
14 too difficult in terms of, you know -- or too expansive in
15 terms of really deciding which compounds to analyze?

16 So for fipronil, I would say, yeah definitely.
17 There are 51 literature reports on fipronil in plasma --
18 in human plasma. There's no question about it, but it's a
19 pesticide. So, you know, we don't want pesticides in
20 blood. Understood, right? But, you know, just because
21 something has a carbon-fluorine bond and there -- you
22 know, the chemical properties were so different, you know,
23 from something that is an industrial intermediate where
24 it's unclear if people might get exposed, and at which
25 level and at when, to something that are pesticides or

1 closer to consumer products.

2 You know, I wish we would have more information
3 on, you know, circling it better and also giving better
4 advice what to look for in terms of properties of these
5 chemicals, and which kinds of chemical groups we need to
6 look for and include.

7 CHAIRPERSON SCHWARZMAN: I feel like we're
8 veering into discussion territory.

9 Does anyone else have clarifying questions?

10 In that case, I want to -- we're meant to --
11 sorry, Martha, did you have a --

12 DR. SANDY: Could I --

13 CHAIRPERSON SCHWARZMAN: Oh, please, of course,
14 yes.

15 DR. SANDY: Just to give some perspective, we
16 realize that the group we have right now doesn't cover all
17 the chemicals we know we have concerns about. It doesn't
18 cover the aromatics. And we want a group that addresses
19 Program leads and priorities and those won't change, as we
20 learn more about -- and as different chemicals are used in
21 different ways, our approach has been to be inclusive to
22 allow the broadest flexibility in what we measure, because
23 we are an exposure based program, and this list of
24 designated chemicals is really a laboratory list of
25 chemicals that can be measured. It allows us to use

1 non-targeted analyses to get a sense of the presence and
2 levels of these fluorinated chemicals, and to identify
3 chemicals within the group to focus on.

4 I can also comment that we, you know, also tried
5 to come up with some functional or use-based definitions,
6 but we don't really know all the possible uses that are
7 happening right now or what might happen in the future of
8 these fluorinated compounds. So it -- that's a challenge
9 for us, so...

10 CHAIRPERSON SCHWARZMAN: Thank you.

11 I meant to poll the room and attendees about how
12 much public comment we anticipate, just in thinking about
13 how to divide up the time. Stephanie, do you have a read
14 on that?

15 MS. JARMUL: We've only received one public
16 comment so far. But if others want to comment online, can
17 you raise your hand virtually.

18 CHAIRPERSON SCHWARZMAN: Folks who want to
19 comment online should raised hand virtually because I
20 think the next section is public comment period, and we
21 can then tell how much time to allocate to each comment.

22 We'll give a moment for that.

23 MS. JARMUL: I think we only have one comment
24 that I can read.

25 CHAIRPERSON SCHWARZMAN: Okay. Then we'll move

1 into the public comment period. We'll do this and we'll
2 do our Panel discussion. And if more public comments come
3 in, it sounds like we'll have time for that.

4 MS. JARMUL: Definitely. And there's actually
5 two from Anna Reade from the NRDC. She mentions that the
6 EU's universal PFAS restriction proposal does have a lot
7 of use information, more than we can collect here in the
8 U.S.

9 And then she submitted a longer comment that I'm
10 going to read aloud.

11 "Good morning. My name is Anna Reade and I'm a
12 Senior Scientist with the Natural Resources Defense
13 Council. On behalf of the NRDC and its members, I am
14 pleased to support the California Biomonitoring Program's
15 recommendation to expand the PFAS chemical group on the
16 designated chemicals list to perfluoroalkyl and
17 polyfluoroalkyl substances, and other substances with
18 carbon-fluorine bonds.

19 "The Program's justification for expansion is
20 scientifically supported, resource efficient, and will
21 further California's ability to protect public health.
22 The proposed expansion meets several of the criteria for
23 designated chemicals under SB 1379, including chemicals
24 with the potential for exposure and known or suspected
25 health effects.

1 "Importantly, the concern over chemicals with
2 carbon-fluorine bonds and the persistence that results is
3 supported by other experts in the field. We thank
4 California Biomonitoring and the Scientific Guidance Panel
5 for their important work to protect the health of
6 Californians."

7 And that's it.

8 CHAIRPERSON SCHWARZMAN: Okay. If that's it --
9 and there's no public comment in the room, right?

10 MS. JARMUL: Correct.

11 CHAIRPERSON SCHWARZMAN: Okay. So if that's it
12 for public comment, I think, because we have more time
13 allotted for it than that, I'll kind of return and check
14 back and make sure that we don't have more public comment
15 later, but we can move on to Panel discussion. We're
16 meant to end this period with a recommendation for the
17 Program in response to this proposal. So just so you
18 know, have in mind, where we're headed with this.

19 Comments, discussion points?

20 Lara.

21 PANEL MEMBER CUSHING: This is more of a
22 clarifying question. It's Lara Cushing. I was wondering
23 if you could say more about how this expanded definition
24 would enable non-targeted analysis and maybe how a
25 different definition would not, and -- because that's

1 seems like a real benefit to me too in order -- like
2 looking forward, being able to embrace new methods for
3 non-targeted screening that are resource efficient and
4 enable us to identify new emerging compounds. And as
5 it -- like, could we not do that with a definition that
6 was more restrictive or like has that been a barrier with
7 some of the other chemical classes as they're currently
8 defined.

9 DR. SANDY: Thank you. So I was looking to see
10 if June-Soo wants to chime in, but, you know, they can --
11 you've heard from ECL talk about their non-targeted
12 analyses of other types of -- not our Biomonitoring
13 California samples. And we've heard from other guest
14 speakers over the years where they're picking up total
15 fluorine in serum and then trying to see how much they can
16 account for with what we know -- what we're targeting for
17 biomonitoring. There's a lot of unknowns. And some of
18 that may not be captured by the individual chemicals that
19 are currently on our designated chemicals list. So we
20 would not be allowed to monitor for them in Biomonitoring
21 California samples. So it allows us to look for more,
22 once we find chemicals that we want to go after that we're
23 measuring in people.

24 CHAIRPERSON SCHWARZMAN: Thank you.

25 Ulrike.

1 PANEL MEMBER LUDERER: Yeah. Kind of following
2 up on that. I mean, I think that is really one of the
3 benefits of having this designated chemicals list is it
4 provides flexibility to be able to respond. You know, as
5 things change and we know that things are constantly
6 changing in terms of what's getting put into the
7 marketplace and, you know, things that -- chemicals that
8 are discovered to have toxicities, they get rid of them,
9 and then other chemicals that we don't know the toxicity
10 of as well, or hasn't been as well defined, gets added.
11 And so I think having that ability to both use
12 non-targeted approaches and also maybe to develop targeted
13 methods for chemicals that are within this broad group,
14 that as the presentation noted, there's evidence for human
15 exposure for some of these, but they currently are not
16 included under the definition of PFAS that's currently
17 being used.

18 So, I mean, I think from my perspective, it makes
19 sense to have this broad designated category, realizing
20 that, you know, it's probably never going to happen that
21 we're going to measure every chemical that's -- you know,
22 that could fall under that umbrella, but it does provide
23 the flexibility to be able to -- to, you know, as things
24 come up, as they be -- you know, maybe there's more
25 evidence about exposure, and, you know, we want to try and

1 understand exposure better for a particular chemical.
2 They can just -- you know, the method can be developed
3 without having to come back, and, you know, add it
4 chemical by chemical to that designated list.

5 CHAIRPERSON SCHWARZMAN: Yeah. Tom.

6 PANEL MEMBER MCKONE: Just a follow-up. And I'm
7 going back several years when we took these cyclic
8 siloxanes as a class for the same reason. And again, we
9 were talking about a very large number of chemicals, but
10 it was the problem is we were just seeing them emerge in
11 the market and there's different variations.

12 And our fear was that if we had specified a
13 couple, it would -- we would limit the opportunity to then
14 measure one that was emerging. So I really -- I don't
15 know how to put the language. I favor the idea of giving
16 some flexibility, but then, you know, to avoid opening the
17 door to like 10,000 every, you know, fluorine-bond
18 chemical, say it's open, but there needs to be some
19 demonstration.

20 I mean, it's -- the State has latitude or the
21 Program -- the Biomonitoring Program, you know, I would
22 say maybe recommend giving broad latitude to go into this
23 class, but to also have some justification for which
24 compounds and why and again along the lines of what
25 they're doing, which is use, toxicity, and again

1 suggesting they look at whatever we can get from Europe
2 about the types of uses, and toxicity, and exposure. So
3 not limit, but also encourage them to be a little bit
4 selective and careful, so if we open the class up and
5 don't open it up to 10,000, so that everyone is
6 overwhelmed trying to find the right chemical.

7 CHAIRPERSON SCHWARZMAN: I wonder if part of what
8 you're getting at there, Tom, is that -- is in a sense the
9 difference between designated and priority chemicals. So
10 right, if we're expanding -- the Program is proposing
11 expanding a list of designated chemicals in this way, and
12 that's not the same as our instructing the program to
13 prioritize that big a chemical list, or a group. And
14 anyway, I wondered if that helps partly get at that
15 difference?

16 I have Jenny, and then I have Oliver, and then
17 José.

18 PANEL MEMBER QUINTANA: I agree we don't want to
19 overwhelm anybody, but I think this problem is so
20 perfectly suited to biomonitoring, because, as you said
21 earlier, look at total fluorine, what the heck is it? You
22 know, so you have almost a top-down way of looking at it
23 as well as the bottom-up, which is use, and production,
24 and that kind of stuff. So I do think that the approach
25 of finding the most abundant is, in a way, already weeding

1 out problems using non-targeted -- you know, applying
2 non-targeted to see what's there or guess what's there and
3 then investigate.

4 So I think it is important, especially when you
5 have this rapidly changing situation, the regrettable --
6 potentially regrettable substitutions going on, you know,
7 that it's -- it's really interesting to see the power of
8 biomonitoring. And I think part of the problem is the
9 source problem that we really don't know what the sources
10 are. And without that, it's hard to get at what Oliver
11 said about finding the canary in the coal mine. So if we
12 looked at all these different chemicals and see which ones
13 correlate with each other, these two tend to track
14 together. And these eight track together, you know, then
15 you might be able to whittle down the list, the ones that
16 are indicative.

17 But without knowing the sources and how they
18 change, it's also concerning that you're data from 2016 or
19 something had things correlated, but now they wouldn't,
20 because they'd be changing. So I think it's a complicated
21 problem and I think it really does really lend itself to
22 biomonitoring as helping solve this problem.

23 PANEL MEMBER FIEHN: Okay. Thank you. This is
24 all good comments. I understand the difference. We all
25 understand the difference between designated and priority,

1 but the point really is that eventually we're going to do
2 biomonitoring. And I would say 80 percent, maybe 90
3 percent of all the reports we have received for targeted
4 reports on different studies on different chemical classes
5 and different compounds. So the non-targeted approach,
6 although it's favorite, and, you know, always a hope, you
7 know, like a carrot in front of you that you can't reach,
8 hasn't been really shown to pay off or at least not to the
9 extent that we are all happy with it, let's put it this
10 way maybe.

11 So then you could say, well, you know, obviously,
12 targeted approaches can do quantification. You would have
13 internal standards. You would have isotope dilution mass
14 spectrometry for quantification, that then you can monitor
15 across populations and, you know, so on, and different
16 biofluids in water, and fish, and you name it.

17 From non-targeted all you can really say is
18 presence or absence, which is something. So I think it
19 would be time for the Program to not only expand
20 designated chemical lists, but also try to see can we say
21 something about presence and absence, and if so, how.

22 Now, we did discuss it before for halogenated
23 compounds, in general, it's easier than for others.
24 Brominated and chlorinated have really nice isotope
25 patterns, poly or perfluorinated also have nice patterns

1 by being less than nominal mass. So if you have something
2 like 20 fluorines, you can easily detect it in a
3 non-targeted approach. And there are people who have
4 published such things.

5 Now, that is fine, but, of course, in a program,
6 if you now want to look at exposure routes, or different
7 foods, and different sources, and soil, and what not, that
8 is overwhelming Biomonitoring California in terms of
9 expense and, you know, informatics and so on. There is a
10 resource called MASST in San Diego who collect public
11 available MS/MS non-targeted data for many years. They
12 have one billion spectra so far. They have published many
13 studies on different types of associations. You know,
14 they focus, of course, on microbiomes, but they also look
15 at bile acids and novel bile acids, but this resource can
16 also be exploited for understanding non-targeted analysis.

17 So if we expand our designated list of chemicals
18 ever more, which likely we will do just to give -- you
19 know, nobody wants to restrain the Program, you know, but
20 the Program also has to show how it can be used. And
21 instead of saying, well, we know go for 300 people and do
22 it -- we can also do that, 300 people, and some CARE, or
23 whatever ACE, or whatever other program, and then we want
24 to relook at non-targeted, we could do that. But also, we
25 could say why don't we ask the Program to see can you find

1 these perfluorinated and other types of halogenated
2 compounds in MASST and some of the databases that are
3 publicly available and that have source information.

4 So not to the level that you can use it in, you
5 know, body mass index, and age groups, and, you know, so
6 on and so forth, not like in a real biomonitoring study,
7 but at least the presence, and absence, and associations
8 with sources. So that would be a comment and a pledge
9 that I would like to do today.

10 PANEL MEMBER SUÁREZ: I think that's very
11 interesting. And in following up on that, kind of side
12 tracking about my question in that sense and kind of
13 bringing it back at the same time, is, well firstly, it is
14 very -- it's great that you've been giving some additional
15 thought about expanding to different compounds that seem
16 to have very strong fluoride -- carbon-fluoride bonds
17 there and looking at dietary sources of exposure, in this
18 case looking from that agricultural side, including
19 pesticides. I see some pyrethroids in there, in fact,
20 that no one has talked about.

21 The same questions kind of come back when we're
22 thinking about there are thousands of different chemicals.
23 And coming from a list of thousands to 10 different
24 chemicals from -- selecting from that, I am sure that we
25 could make the rationale that we could include maybe a

1 dozen more that might fit the same criteria that are
2 mentioned here.

3 So my comment here would be it would be very
4 interest to start incorporating different criteria and
5 actually having a strong list of criteria now specifically
6 to be able to score somehow which chemicals should be then
7 included in the designated list such as this one, given
8 that there are a lot of different resources, some of which
9 Oliver was talking about, different -- thinking of
10 different ways in which some sort of a score could be
11 created, such that we can start prioritizing or including
12 specific lists of chemicals, given that, you know, as I
13 was mentioning 10,000, 15,000 chemicals worth considering.
14 Probably a good amount of those would be -- would qualify
15 here in the exposure potential list and probably on the
16 health effects list, right?

17 So maybe you have -- you've done this. I didn't
18 fully see if there was some sort of a scoring criteria for
19 that to be able to include these in there, but it would be
20 nice to give some thought of what you've been -- how
21 you've been selecting these in that sense.

22 DR. SANDY: This is Martha Sandy. So it's been
23 awhile since we've brought chemicals to our Panel to put
24 on the designated list or the priority list. And again,
25 just to remind you, the criteria for the designated

1 chemicals to use, that's in the enabling legislation. And
2 you as a Panel -- as the Panel will use those criteria.
3 And the criteria are not joined by the word "and". So a
4 chemical or a group to put on the designated list just
5 needs to meet at least one, but it's the recommendation of
6 the Panel as to what should be on that designated list.

7 And again, it's a list that allows us to
8 biomonitor if we find information. And as you hear, we
9 can't -- we aren't monitoring all of the chemicals on the
10 designated list right now, but it gives us the flexibility
11 if we understand more about a particular chemical within
12 one of the designated chemical groups that we really want
13 to look at.

14 PANEL MEMBER MCKONE: We're moving toward a
15 recommendation. So what we're asked to do is the current
16 designated group is perfluoroalkyl and perfluoroalkyl
17 substance -- perfluoroalkyl or --

18 (Laughter).

19 PANEL MEMBER MCKONE: It says both, right?

20 Okay. Polyfluoro, there we are. So it's very
21 restrictive. It's perfluoro and polyfluoro. And then
22 it's expanded to other substances with a carbon-fluorine
23 bond, which is like going from this to, you know, the
24 whole room.

25 But maybe -- I mean, if we just put a little bit

1 of a restriction on the addition, other substances with
2 carbon-fluorine bonds that meet the criteria of the
3 enabling legislation, which is -- you know, we're
4 expanding the group to something new, but we're also
5 saying it's not a free ticket to look for every -- but
6 that's already there. As Martha pointed out, there's
7 already a restriction because you can't -- you can't go
8 outside of the criteria in the enabling legislations, so I
9 mean we might want to emphasize that, so that we don't
10 feel like we've opened the door to, you know, 10,000 new
11 chemicals.

12 CHAIRPERSON SCHWARZMAN: I feel like the most
13 important thing that I could come back to in this is sort
14 of language from the presenters about being allowed to
15 look. And I feel like our -- we have many different roles
16 on the Panel, and sometimes we make recommendations to the
17 Program about what we think they should focus on and how
18 studies should be conducted, and priorities for, yeah,
19 the -- expending the limited resources on doing studies.
20 And, for me, when the question comes to what should we
21 permit the Program to do, what should they be allowed to
22 do, that gets a lot less -- I want to be a lot less
23 prescriptive in that. You know, that's a place where I
24 don't want to limit the Program especially because we've
25 all, I think, acknowledged how dynamic the marketplace is

1 around PFAS, I mean, around many chemicals, but
2 particularly around PFAS with increasing categories coming
3 under scrutiny, gaining attention, and then how that
4 shifts.

5 And my impulse here is to allow a very broad
6 definition, even acknowledging that there's -- there are
7 many things that the program would never consider
8 monitoring that qualify as a single carbon-fluorine bond,
9 but sort of acknowledging what a long deliberative process
10 this has been, and should a chemical emerge that they --
11 that there's rationale for studying, not wanting to have
12 to limit them to like redesign the group just in order to
13 be able to include that.

14 Like, I feel like the deliberative process in
15 selecting chemicals to study, and in designing studies is
16 already very robust, and we get to have input on that.
17 And so the idea of limiting the Program through the --
18 through the designated group doesn't feel necessary to me.
19 That's kind of how I'm seeing it.

20 I don't know if others have comments on that.

21 Jenny.

22 PANEL MEMBER QUINTANA: I just want to say that I
23 agree with you on that point. And are we moving to making
24 a motion at some point or how does -- what is the next
25 process?

1 CHAIRPERSON SCHWARZMAN: We should have a motion
2 before this time is up, because we need to make a
3 recommendation, but we can fully let the discussion run
4 its course before doing that. We don't have any time
5 pressure and it looks like Stephanie has a comment or a --
6 yeah, public comment. Okay.

7 MS. JARMUL: This is again from Anna Reade from
8 the NRDC. She states that, "The California Water Board is
9 planning to perform non-targeted testing on drinking water
10 in collaboration with EPA. This expansion would allow
11 California Biomonitoring to follow up with interesting and
12 important findings from this work."

13 CHAIRPERSON SCHWARZMAN: Other comments from the
14 Panel or discussion points?

15 Tom.

16 PANEL MEMBER MCKONE: Less an interesting example
17 of what we want to give the Program an opportunity to do,
18 which is to respond to new information that comes up. I
19 mean that's the example from NRDC is like, oh, look,
20 there's this whole new data set. And then if we restrict
21 it some way, the class of compounds -- fluorinated
22 compounds, then they'd have to say, well, we have to get
23 permission to do that. So I favor your comment as a
24 recommendation, which is that we do allow the broad
25 expansion with our understanding that that's not a

1 requirement or even a suggestion that they just do
2 non-targeted screens for every fluorine-carbon bond, but
3 that it gives some openings to go -- and again, I think we
4 have to assume the Program criteria, the enabling
5 legislation is sufficiently protective; that it doesn't
6 mean this is giving free rein to just go out and look for
7 every compound in this class.

8 CHAIRPERSON SCHWARZMAN: I would say the enabling
9 legislation and the budget.

10 (Laughter).

11 CHAIRPERSON SCHWARZMAN: If anyone has concerns
12 about overreach, you can put those aside.

13 (Laughter).

14 CHAIRPERSON SCHWARZMAN: Other points in the
15 discussion. Other thoughts about this designated chemical
16 group.

17 Is there -- would anyone like to make a motion to
18 start a decision, if folks feel like they've deliberated
19 all they need?

20 PANEL MEMBER MCKONE: No. I make a motion that
21 we allow this class to be expanded as the proposed
22 definition. And I don't if -- I mean, I wouldn't put a
23 qualifier on it, but I think we understand there are
24 budget constraints, and, you know, requirements that
25 contain the set of compounds still. It's not -- you know,

1 we're not opening it up to an entire universe, but I don't
2 think we have to put that qualifier in our recommendation.
3 I think the recommendation would be to allow the language
4 to be revised as proposed in the title presentation.

5 CHAIRPERSON SCHWARZMAN: So maybe just to restate
6 that for the record. I would say that Tom McKone motions
7 that the chemical group PFAS and other substances with
8 carbon-fluorine bonds be included as designated chemicals
9 for the California Environmental Contaminant Biomonitoring
10 Program. Do we have a second?

11 PANEL MEMBER QUINTANA: Second.

12 PANEL MEMBER CRANOR: I second.

13 PANEL MEMBER LUDERER: (Hand raised).

14 CHAIRPERSON SCHWARZMAN: Okay. We have a second.
15 So then I will -- I'll just go around and record votes of
16 every Panel member.

17 Lara?

18 PANEL MEMBER CUSHING: Yes.

19 CHAIRPERSON SCHWARZMAN: Lara agrees.

20 Tom --

21 PANEL MEMBER MCKONE: Yes.

22 PANEL MEMBER LUDERER: Aye.

23 PANEL MEMBER QUINTANA: Aye.

24 PANEL MEMBER FIEHN: Aye.

25 PANEL MEMBER SUÁREZ: Aye.

1 CHAIRPERSON SCHWARZMAN: And Carl?

2 Oh, we can count that as an agree. Okay. And I
3 also support the motion.

4 PANEL MEMBER CRANOR: Aye. I was muted. Aye.
5 (Laughter).

6 CHAIRPERSON SCHWARZMAN: There we go. Okay. So
7 with that, the motion passes unanimously.

8 Great. Okay. So we're a little ahead of
9 schedule, which is wonderful. People will get a little
10 bit more time for lunch. We had a pretty tight lunch
11 turnaround before.

12 So I want to just open up the public comment
13 period now. And this is not specific to items on the
14 agenda for today. There's 10 minutes allotted for the
15 open public comment and commenters can provide any --
16 comments on any topic. Webinar attendees can submit
17 written comments and questions via the Q&A function of
18 Zoom webinar or by email to biomonitoring@oehha.ca.gov.
19 And we'll read them out loud. If you wish to speak rather
20 than submit a written comment, please alert us using the
21 raise hand feature in Zoom webinar and we'll call on you.
22 And if you're attending in person and wish to comment,
23 please come to the front of the room or raise your hand.
24 And reminders to public commenters that for the benefit of
25 the transcriber, please clearly identify yourself before

1 providing comment and write your name and affiliation on
2 the sign-in sheet.

3 So with that as having provided a little time for
4 those comments to come in.

5 Stephanie, do -- is there any to report?

6 MS. JARMUL: No public comments have come in, no.

7 CHAIRPERSON SCHWARZMAN: Okay.

8 In that case -- oh, sorry go ahead.

9 PANEL MEMBER MCKONE: So there was a comment that
10 we were given in advance. Does that -- do we have to -- I
11 mean, should we acknowledge that or do we have --

12 CHAIRPERSON SCHWARZMAN: Program staff --

13 MS. JARMUL: That wasn't specific for this
14 meeting.

15 CHAIRPERSON SCHWARZMAN: So that concludes the
16 substantive portion of this meeting rescheduled from
17 August. The transcript of the meeting will be posted on
18 the Biomonitoring California website when it's available.
19 The next SGP meeting will be this afternoon from 1 to 4
20 p.m. And information regarding options for attending the
21 meeting are available on the meeting webpage for this
22 afternoon's meeting. And I want to note specifically that
23 there's a separate Zoom link for this afternoon's meeting.
24 It's a different meeting for those joining online, and
25 that's available on the webpage.

1 So with that, I want to thank Program staff,
2 today's presenters, the Panel, and the audience. And I'll
3 adjourn the meeting.

4 Thank you.

5 (Thereupon the California Environmental
6 Contaminant Biomonitoring Program, Scientific
7 Guidance Panel meeting adjourned at 11:34 a.m.)
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

I, JAMES F. PETERS, a Certified Shorthand Reporter of the State of California, do hereby certify:

That I am a disinterested person herein; that the foregoing California Environmental Contaminant Biomonitoring Program Scientific Guidance Panel meeting was reported in shorthand by me, James F. Peters, a Certified Shorthand Reporter of the State of California, and thereafter transcribed under my direction, by computer-assisted transcription.

I further certify that I am not of counsel or attorney for any of the parties to said meeting nor in any way interested in the outcome of said meeting.

IN WITNESS WHEREOF, I have hereunto set my hand this 19th day of November, 2023.

JAMES F. PETERS, CSR
Certified Shorthand Reporter
License No. 10063